

**BRITISH COLUMBIA UTILITIES COMMISSION**  
**IN THE MATTER OF THE UTILITIES COMMISSION ACT**  
**R.S.B.C. 1996, CHAPTER 473**

**And**

**FortisBC Energy Inc. (FEI)**  
**2016 Rate Design Application**

**Vancouver, B.C.**  
**November 22<sup>nd</sup>, 2017**

---

**Streamlined Review Process**

---

**BEFORE:**

<b>K. Keilty,</b>	<b>Panel Chair/Commissioner</b>
<b>W. Everett,</b>	<b>Commissioner</b>
<b>D. Enns,</b>	<b>Commissioner</b>

**VOLUME 6**

## APPEARANCES

P. MILLER	Commission Counsel
S. HILL	FortisBC Energy Inc. (FEI)
S. SALBACH	FortisBC Energy Inc. (FEI)
R. AMEN	FortisBC Energy Inc. (Black & Veatch)
J. TAYLOR	FortisBC Energy Inc. (Black & Veatch)
C. BYSTROM	Counsel for FortisBC Energy Inc. (FEI)
A. TOKY	FortisBC Energy Inc. (FEI)
K. HODGINS	FortisBC Energy Inc. (FEI)
M. LANG	FortisBC Energy Inc. (FEI)
C. GRAVEL	FortisBC Energy Inc. (FEI)
I. BEVACQUA	FortisBC Energy Inc. (FEI)
R. GOSSELIN	FortisBC Energy Inc. (FEI)
D. PERTTULA	FortisBC Energy Inc. (FEI)
C. WEAVER J. RHODES	Counsel for Commercial Energy Consumers Association of British Columbia (CEC)
D. BURSEY J. LANGLEY	Counsel for (Industrial Customer Group (ICG)
T. HACKNEY W.J. ANDREWS	Counsel for B.C. Sustainable Energy Association and Sierra Club of B.C. (BCSEA/SCBC)
P. KRESNYAK	Absolute Energy Inc.
T. DIXON	Access Gas Services Inc.
J. MARTISKAINEN	Catalyst Paper Corporation
M. McCORDIC	Shell Energy North America (Canada) Inc.
C. MARR	BCUC
E. SOUTH	BCUC

**INDEX OF EXHIBITS**

<b>NO.</b>	<b>DESCRIPTION</b>	<b>PAGE</b>
<b>VOLUME 6, NOVEMBER 22, 2017</b>		
B-38	FORTISBC SLIDE PRESENTATION .....	716

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

**VANCOUVER, B.C.**

**November 22<sup>nd</sup>, 2017**

**(PROCEEDINGS RESUMED AT 9:00 A.M.)**

THE CHAIRPERSON: Good morning, and welcome. My name is Karen Keilty, panel chair for Fortis Energy Inc.'s 2016 rate design application. With me today are the other panel members on this application, Doug Enns and Bill Everett.

Order G-109-17, issued on July 28, 2017, established the regulatory process for this application which includes today's streamlined review process, or SRP, in respect of FEI's transportation service proposals. This SRP is intended to review in a relatively informal manner the issues in the application while still providing procedural fairness, public participation, and transparency. While the process is not as formal as an oral hearing, it will be transcribed.

The panel would like to highlight that FEI has filed its response to two rounds of Information Requests and any further questions will be addressed today. This should reduce or eliminate the need for undertakings and a possible extension of the regulatory timetable.

Following my opening statement, participants will introduce themselves. After

1 introductions, FEI is invited to provide an overview  
2 of its transportation service review proposals.  
3 During FEI's presentation, participants may ask  
4 clarifying questions.

5 Following the presentation, participants  
6 may ask questions of FEI. When asking questions,  
7 participants should first identify themselves for the  
8 transcription record, and then ask their question.  
9 The order of questions will be, first interveners,  
10 second Commission staff, and finally the panel will  
11 ask FEI questions.

12 **Proceeding Time: 9:02 a.m. T4**

13 Order G-109-17 outlined that if oral  
14 argument were not delivered today, arguments will take  
15 place on Monday, November 27<sup>th</sup>, commencing at 9:00 A.M.  
16 in this hearing room. Following the question and  
17 answer period, participants will be asked to indicate  
18 their preference for delivering oral arguments today,  
19 or Monday, November 27. We will take breaks  
20 periodically depending on the timing of the  
21 proceeding.

22 So we can start with introductions.

23 MR. HILL: Good morning everyone, Shawn Hill, director of  
24 energy supply and gas control, FortisBC.

25 MS. SALBACH: Good morning, Stephanie Salbach with  
26 FortisBC. I am the transportation services manager.

1 MR. AMEN: Good morning, my name is Ron Amen, I am with  
2 Black & Veatch Management Consulting.

3 MR. TAYLOR: And I'm John Taylor with Black & Veatch as  
4 well.

5 MR. BYSTROM: Chris Bystrom with Fasken Martineau,  
6 counsel for FortisBC.

7 MR. TOKY: Atul Toky, manager rate design and tarriffs  
8 with FEI.

9 MR. HODGINS: Kevin Hodgins, manager of industrial  
10 accounts. Sorry for the cold.

11 MS. LANG: Mary Lang, FortisBC energy supply.

12 MS. GRAVEL: Colleen Gravel, tariff, rate design and  
13 projects manager, FortisBC.

14 MS. BEVACQUA: Ilva Bevacqua, FortisBC regulatory affairs  
15 manager.

16 MR. GOSSELIN: Richard Gosselin, FortisBC, manager at  
17 cost of service.

18 MR. PERTTULA: Dave Perttula, senior manager rate design  
19 and projects, FortisBC.

20 MR. WEAFFER: Chris Weaffer, counsel of the Commercial  
21 Energy Consumers, and Janet Rhodes is with me with the  
22 Commercial Energy Consumers.

23 MR. BURSEY: David Bursey for the Industrial Customer  
24 Group, which is Teck, Celgar, Cominco, Weyerhaeuser  
25 and -- that's it, four, thank you.

26 MR. HACKNEY: Hello, Tom Hackney with the B.C.

1           Sustainable Energy Association, and Sierra Club B.C.,  
2           and I expect William Andrews will be joining me  
3           shortly.

4 MR. KRESNYAK:    Good morning, Peter Kresnyak with Absolute  
5           Energy.

6 MR. DIXON:       Tom Dixon with Access Gas Services.

7 MR. MARTISKAINEN:    Jouni Martiskainen with Catalyst  
8           Paper.

9 MS. McCORDIC:     Mary McCordic, Shell Energy North America.

10 MR. MILLER:       Paul Miller, Boughton Law Corporation,  
11           Commission counsel.

12 MS. MARR:        Cathy Marr, consultant working with the  
13           commission.

14 MR. SOUTH:        Errol South, Commission staff.

15 THE CHAIRPERSON:    Great, I think that is everyone.

16                        FEI is going to start with a presentation.

17 **PRESENTATION BY MR. TOKY:**

18 MR. TOKY:        Good morning again, my name is Atul Toky, and  
19           I am manager of rate design and tariffs with FortisBC  
20           Energy Inc. With me today I have Stephanie Salbach,  
21           she is the transportation services manager who will be  
22           presenting and discussing with you FEI's  
23           transportation service, including the proposed changes  
24           as filed in the application.

25                        I have also with me other fellow members,  
26           but Ron from Black & Veatch, management consulting,



1 FEI held two information sessions and one  
2 stakeholder workshop last year, that was in 2016,  
3 where transportation service customer model was  
4 reviewed. A discussion guide was provided to all  
5 stakeholders well in advance to the workshop, to help  
6 FEI consolidate lists of key issues and topics, to  
7 explore and focus the scope of the application.

8 Transportation service review and the rate  
9 design proposals are filed, as I said, in the Exhibit  
10 B-1, or Section 10 of the application. Section 10 of  
11 the application included research and study completed  
12 by Black & Veatch, who were tasked to research the  
13 balancing provision of sampling utilities across U.S.  
14 and Canada, and conduct an analysis to value FEI's  
15 balancing service.

16 Early this year, we had two post-  
17 application workshops to reiterate the purpose of  
18 transportation model and the proposed changes to the  
19 transportation service as filed in FEI's rate design  
20 application. FEI's proposed changes to the  
21 transportation service model have been reviewed by two  
22 external consultants: Black & Veatch and also  
23 Elenchus.

24 FEI has responded to two rounds of IRs on  
25 this topic. The purpose of me summarizing these key  
26 events is to show that this topic has been extensively

1 discussed, reviewed, both prior to and after filing  
2 the application. FEI believes that there has been an  
3 ample opportunity for all stakeholders and interveners  
4 to understand and ask questions on the proposed  
5 changes to FEI's transportation service.

6 So with that, I would like to invite Ron  
7 here, who will take us through a few of his slides.

8 MR. AMEN: Again, good morning. My name is Ron Amen.  
9 I'm with Black & Veatch, and here representing FEI  
10 today.

11 Black & Veatch was retained by FEI to  
12 perform an overall review of their transportation  
13 service model. Our analysis was informed by the  
14 results of our review of FEI's various mid-stream  
15 capacity resources, with particular interest in their  
16 use in providing balancing transportation customers  
17 daily loads.

18 The focus of our review included the  
19 physical diversity, the functionality, and the  
20 flexibility provided by the various capacity  
21 resources.

22 **Proceeding Time: 9:11 a.m. T4**

23 We work closely with FEI to understand the  
24 historical perspectives related to the utilization of  
25 the various midstream capacity resources today for  
26 system balancing.

1                   The cost impact caused by transportation  
2 customers in balance levels was also reviewed.

3                   So I'd like to begin by reviewing the  
4 nature and purpose of balancing. Balancing refers to  
5 the daily matching of deliveries of natural gas  
6 supplies to FEI's distribution system from various  
7 upstream sources with the aggregate daily demands of  
8 its customers.

9                   Performance of this balancing function  
10 ensures reliable gas supplies are available for both  
11 FEI sales and transportation customers. FEI must  
12 balance its system daily in conformance with the  
13 requirements of upstream, long-haul transportation  
14 pipelines. FEI's transportation customers deliver and  
15 receive differing amounts of natural gas on a day-to-  
16 day basis, which contributes to system imbalances.  
17 FEI uses its midstream assets that serves sales  
18 customers and their demands. For example, this would  
19 be leased, storage, injection and withdrawals. As  
20 well as the long haul inter-state pipeline connections  
21 that bring the gas from the storage fields to the  
22 distribution system. These resources are used to  
23 balance the system.

24                   There are two types of balancing charges  
25 that are common in the utility industry. One being a  
26 volumetric charge that is levied on all transportation

1 throughput. The second is a tiered balancing approach  
2 that provides various tolerance levels with associated  
3 charges.

4 Balancing service charges or the volumetric  
5 approach are typically based on the allocated cost of  
6 storage and related pipeline capacity to accommodate a  
7 certain specified level of balancing. The tiered  
8 balancing tolerance approach assesses a higher level  
9 of charge as the size of the customer's imbalance  
10 increases. This provides an incentive for  
11 transporters to keep balances, or imbalances, within a  
12 tighter, more manageable, and less costly range.

13 Black & Veatch initially developed a  
14 replacement cost methodology to place a value on FEI's  
15 balancing services. Black & Veatch developed a  
16 methodology to calculate the estimated replacement  
17 cost of FEI's storage and related pipeline capacity  
18 resources that are used for system balancing. The  
19 replacement cost analysis used the shipper agent's  
20 daily deliveries, and adjusted imbalance data. And  
21 these adjustments involved end of month inventory  
22 adjustments, and also imbalance return quantities.

23 Based on the assumption that if balancing  
24 services were not offered by FEI, shipper agents would  
25 procure their own resources to meet their balancing  
26 needs at 70 percent of the days of the year.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

**Proceeding Time 9:16 a.m. T5**

A shipper agent looking at its projected imbalance volumes in excess of a specified threshold, would likely want to balance its own risk tolerance with the cost minimization when deciding what level of contracted firm storage and related pipeline capacity that is necessary in order to meet its balancing needs for a given year.

Contracting for sufficient firm capacity to meet its highest projected level of daily imbalance would entail over-contracting for capacity on every other day of the year. On the other hand, contracting for lower levels of capacity would leave a shipper agent subject to potentially expensive imbalance charges or other mitigation measures on a daily basis.

The third quartile, the 75 percent level, used in our analysis was derived as a balance between these two competing objectives. It was a mathematical equilibrium between fixed costs of firm resources and incurring imbalance charges.

If you look at the graph, every point, every blue dot on that graph represents an imbalance. This is a year's worth of imbalance data for a particular shipper agent. The red line represents that 75 percent level. So you can see the number of blue dots below the red line, there's a goodly number

1 of them, many of them are way down around a zero level  
2 of imbalance, or slightly above or below. We use the  
3 absolute value of the imbalances. There can be  
4 positive imbalances and negative imbalances. We use  
5 the absolute value of those imbalance figures to  
6 provide this visual representation.

7 So you can see that if one were to  
8 subscribe to enough resources to cover 75 percent of  
9 the days, they're still going to be out of balance  
10 based on this history a good number of days above that  
11 threshold.

12 Our analysis showed that the resources that  
13 FEI uses to balance this system have significant value  
14 in the marketplace.

15 Based on feedback that we received from an  
16 August 12<sup>th</sup>, 2006 workshop, FEI and Black & Veatch  
17 began to focus on where to set the balancing tolerance  
18 level, rather than determining an optimal charge for  
19 balancing services. We compared FEI's daily balancing  
20 tolerance level to its industry peers, since daily  
21 balancing predominates across North America.

22 An examination of FEI's historical  
23 balancing data by shipper agent revealed a wide array  
24 of patterns and strategies employed by each shipper  
25 agent. Given a particular shipper agent's different  
26 strategies, FEI sought to determine if some strategies

1 allow shipper agents to consistently balance their  
2 load to specific threshold levels, namely the current  
3 20 percent threshold on the system, and an alternative  
4 of 10 percent.

5 The goal was to be able to assess the  
6 feasibility of balancing to these thresholds. If  
7 several shipper agents are currently balancing to 10  
8 percent, or 20 percent, it is reasonable to suggest  
9 that it's feasible for shipper agents not currently  
10 balancing to these thresholds to change their  
11 nomination patterns, and to also meet these balancing  
12 tolerance levels.

13 The results of this analysis will be  
14 discussed later in the presentation.

15 **Proceeding Time: 9:20 a.m. T6**

16 Black & Veatch was also tasked by FEI to  
17 research the balancing provisions of a sampling of gas  
18 utilities in the U.S. and Canada to see how FEI's  
19 balancing provisions compare relative to its peers.  
20 Large utilities with a mix of both transmission and  
21 distribution assets on their system were examined.  
22 Many utilities across the U.S. and Canada set  
23 balancing thresholds at 5 percent, a level that  
24 applies to both monthly and daily balanced  
25 transporters. Thresholds rarely exceed 10 percent and  
26 sometimes can be as low as zero percent, although this

1 is also very rare and usually is impacted by very  
2 strict balancing provisions of upstream transmission  
3 pipelines. It can also occur during times of  
4 entitlement or operational flow orders.

5 The analysis shows that FEI's current  
6 balancing provisions are substantially more  
7 accommodating than its North American peers. Daily  
8 balancing is required by a predominant number of  
9 utilities depending on proximity to major market hubs  
10 and the balancing requirements as I mentioned earlier  
11 of the pipelines upstream of a utility service  
12 territory. Some require customers to balance on a  
13 daily and a monthly basis.

14 Volumetric balancing service charges, the  
15 first of the two examples that I mentioned previously,  
16 are sometimes used as a substitute for daily  
17 balancing. And this is the case with Puget Sound  
18 Energy just south of here, which also employs a month-  
19 end balancing mechanism. Further, the analysis shows  
20 it is feasible for transportation customers to balance  
21 their deliveries to a ten percent threshold, since  
22 it's common practice for gas utilities elsewhere to  
23 require their customers to meet this level of  
24 balancing tolerance.

25 **PRESENTATION BY MS. SALBACH:**

26 MS. SALBACH: There we go. Go morning, I'm Stephanie

1           Salbach and I'll be reviewing today the transportation  
2           service proposals that are included in our  
3           application. But before I get into our proposals I  
4           wanted to give a brief background to provide some  
5           context.

6                        The transportation service offering has  
7           been in operation since 1985. Today we have 13  
8           marketers or shipper agents managing the gas supply  
9           and transportation needs of approximately 2500  
10          commercial and industrial customers on our system.  
11          The volume of demand -- or demand from this customer  
12          group is significant, representing approximately 40  
13          percent of the total annual throughput on FEI's  
14          system.

15                      As one would expect, the gas industry has  
16          evolved since transportation service's inception.  
17          When the model first began fax machines were used to  
18          transmit gas nominations and supply to and from  
19          pipelines. Supply and customer demand were manually  
20          updated on what were then called T records, and made  
21          available to marketers on a bi-weekly basis. And  
22          there were two gas cycles to make supply adjustments  
23          within the day.

24                      Whereas today, systems are now web based.  
25          Gas nominations and supply is communicated between  
26          pipelines electronically. Daily supply and demand, as

1 well as historical data, is updated electronically and  
2 available to marketers 24/7 from our WINS nomination  
3 portal. And there are now five gas cycles, which  
4 gives marketers greater flexibility to respond to  
5 changes in load. And generally marketers have become  
6 sophisticated over this time as well.

7 Generally, we believe the transportation  
8 model has been operating well. However, as proposed  
9 in this application, we believe the balancing rules  
10 should be updated to reflect current day industry  
11 practice.

12 As shown here, FEI is proposing to one,  
13 eliminate monthly balancing and require all customers  
14 in all service territories to be daily balanced. Two,  
15 amend the balancing tolerance from today of 20 percent  
16 to now 10 percent. And three, impose a tiered or  
17 incremental balancing charges to reflect this change  
18 in tolerance.

19 So providing a bit more context and  
20 background before I get into the changes, I wanted to  
21 start with a quick review of what we mean by system  
22 balancing and trending to zero to pull a little more  
23 from what Ron reviewed earlier.

24 **Proceeding Time: 9:25 a.m. T07**

25 When we talk about system balancing, a  
26 balanced system is when supply matches demand equally.

1 While being perfectly balanced is impossible, on a day  
2 we, FEI, responds to system imbalance by adjusting our  
3 nomination or our supply upwards or downwards to trend  
4 the imbalance to zero.

5 Our system imbalances are tracked under our  
6 OBA or operational balancing agreements with pipelines  
7 that we interconnect with. The OBA is a paper account  
8 that shows our daily and cumulative supply and demand  
9 imbalances on our system. For our customers  
10 operating under the transportation model, the  
11 transportation rate schedules lay out their balancing  
12 rules, either daily or monthly balancing, but a  
13 fundamental obligation in these rate schedules  
14 regarding nomination practices and balancing is that  
15 the shipper agent's nomination or requested quantity  
16 will equal the shipper's best estimate of the quantity  
17 of gas the shipper will actually consume on the day.  
18 This essentially speaks to their obligation to  
19 balance.

20 So I'm going to look now at the system load  
21 balancing that FEI undertakes on a daily basis. This  
22 was in our presentation earlier this year in March.  
23 FEI is responsible for managing the system as a whole,  
24 which includes daily business from sales and  
25 transportation customers. Each day FEI provides  
26 supply for core sales customers and marketers deliver

1 supply onto our system on behalf of their  
2 transportation customers. The total supply in  
3 aggregate is delivered to FEI's interconnect to meet  
4 the demand for those two customer sets.

5 As one would expect, supply and demand may  
6 not be perfectly matched. When imbalances occur FEI  
7 manages them with midstream resources under the annual  
8 contracting plan that is paid by core customers. At  
9 the interconnect, FEI is held to daily balancing.

10 The key take-away here, as emphasized by my  
11 green box, is that FEI manages system imbalances as a  
12 whole on a daily basis, and in doing so,  
13 transportation customers effectively benefit from  
14 these services.

15 With that, I'll review our first proposal  
16 which is dealing with daily and monthly balancing  
17 provisions that we have today.

18 So the transportation offering, service  
19 offering has been in place for over 30 years. With  
20 the deregulation of the natural gas industry in the  
21 '80s, starting in 1985 large volume customers were  
22 able to make direct purchase arrangements and their  
23 own transportation arrangements on Westcoast.

24 Interim rate schedules were in place  
25 between 1985 and 1987, and in 1987 the Commission  
26 approved firm and interruptible transportation service

1 for large industrial customers, as well as daily and  
2 monthly balancing provisions. At that time, Rate  
3 Schedule 22 was approved with monthly balancing  
4 provisions.

5 In 1992 unauthorized overrun, or UOR  
6 charges, as well as demand surcharges, were approved  
7 at that time. As well, in 1982, BC Gas, at the time,  
8 sought to change Rate Schedule 22 from monthly to  
9 daily balancing in winter months to put them on equal  
10 footing with other customers who faced daily balancing  
11 year round.

12 In 1993 the Commission approved year-round  
13 daily balancing for large interruptible Rate Schedule  
14 22 customers.

15 And as well at this time, in 1993, the 20  
16 percent tolerance band was approved for daily  
17 balancing rate schedules only, with the charge of, at  
18 the time, \$1.33 per GJ in the winter, and 28 cents per  
19 GJ in the summer when this tolerance was exceeded.

20 **Proceeding Time: 9:30 a.m. T8**

21 Monthly balancing provisions have remained  
22 unchanged over the years, with the exception in 2014  
23 when FEI applied to amend the monthly balancing  
24 charge. However, the application was not approved.  
25 FEI was directed to review the balancing rules as part  
26 of the rate design application that we are looking at

1           today. Bottom line is, the model has remained  
2           unchanged since 1993 with no adjustments to rules  
3           around tolerances or charges.

4                       As I've already mentioned, daily and  
5           monthly balancing provisions have been in place for  
6           some time. And this slide show how marketers are  
7           operating under these provisions. What I am showing  
8           here are the days of inventory, either pack or draft,  
9           from marketers holding daily balanced groups, which is  
10          on the left, and monthly balanced groups on the right.  
11          The data here has been taken from the year 2016.

12                      We provided these graphs for the years 2014  
13          and 2015, in response to a BCUC IR in round one.  
14          However, and the 2016 year shown here shows a very  
15          similar pattern compared to those two years.

16                      The days of pack or draft is calculated by  
17          dividing the ending inventory on each day with the  
18          average of the previous 30 days. As you can see here,  
19          there are different balancing practices that are  
20          playing out under the daily and monthly balancing  
21          provisions that we have today. As shown by the days  
22          of inventory on the X-axis, marketers managing daily  
23          balance groups tend to oversupply between three and  
24          ten days, while monthly balance groups tend largely to  
25          draft, or undersupply between zero and seven days.

26                      Why is this? Marketers managing daily

1 balance groups bring on more gas in order to avoid  
2 penalty, and are subject to a 20 percent tolerance,  
3 whereas monthly balance groups have the ability to  
4 draft without penalty, and they aren't subject to the  
5 20 percent tolerance.

6 Having said that, as noted in the chart,  
7 sometimes monthly balance groups do actually pack.  
8 This was shown in the 2014 and 2015 data, as well as  
9 here in November and December. In this instance in  
10 November monthly balance groups packed the system by  
11 up to about two days, and on November 9<sup>th</sup>, for example,  
12 supply was approximately 30 TJs greater than demand on  
13 that day. We don't know why this oversupply occurred.  
14 It could be due to the fact that November was a  
15 slightly warmer month than expected, or perhaps it was  
16 pressure from FEI for our shipper agents to balance  
17 more tightly. It's difficult to say. I just wanted  
18 to address the upper imbalance on a monthly slide  
19 here.

20 So, these graphs shows the groups in  
21 isolation. What is not shown here is the case when a  
22 marketer has a daily and monthly balanced group at a  
23 given location. In which case FEI evaluates the total  
24 imbalance by taking into account the supply and demand  
25 net of the two groups. The next slide will show daily  
26 and monthly balancing groups put together.



1                   So now with respect to the balancing  
2                   options, FEI looked at the following listed here. We  
3                   assessed maintaining the status quo and keeping  
4                   monthly and daily balancing provisions as we have  
5                   today. Number two, modified monthly balancing with an  
6                   increase to the balancing charge. And three,  
7                   elimination of monthly balancing altogether and moving  
8                   to exclusive daily balancing.

9                   So, both the status quo option and the  
10                  modified monthly balancing option, we feel, would not  
11                  address the uneven playing field that exists today.  
12                  And neither of these options address the Commission  
13                  directive from the monthly balancing gas application  
14                  which asked FEI to pursue a rate design mechanism to  
15                  incent the appropriate balancing behaviour, not just  
16                  at month-end but during the month as well. Based on  
17                  this, FEI is not in favour of the first two options.

18                  Instead, FEI is proposing to eliminate  
19                  monthly balancing gas and move to exclusive daily  
20                  balancing across all service territories. The  
21                  following slides I will list are justification and  
22                  reasons for this change.

23                  As Ron showed us earlier, the  
24                  jurisdictional review by Black & Veatch, as well as  
25                  the review conducted by Elenchus, indicates that daily  
26                  balancing is industry standard practice. FEI is held

1 to daily balancing provisions with its upstream  
2 pipelines and, as such, it makes sense that the  
3 shippers managing approximately 40 percent of the  
4 overall system throughput on our system behind FEI  
5 adhere to the same set of balancing rules.

6 Tools now exist to enable daily balancing.  
7 Marketers have five nomination cycles, compared to two  
8 in the past, in which to make adjustments to their  
9 supply, to reflect changes in load. Metering devices  
10 have improved over time. Wireless devices call in  
11 daily with metered data for all customer sites, and  
12 our nomination portal, marketers can view individual  
13 and aggregate consumption of all of their customers.  
14 They can also view historical data, their supply and  
15 demand imbalance, and they can use all of this  
16 information to assist in determining the daily supply  
17 requirements for their customer base.

18 And as proof that the tools available today  
19 are sufficient to enable daily balancing, we have  
20 marketers managing daily balanced groups today. These  
21 marketers manage both small and large customer demand,  
22 and they are maintaining imbalances largely within the  
23 two- to three-day range.

24 And on the point of fairness, we feel there  
25 is no longer justification to have two sets of rules.  
26 And it's not fair to hold some customers to a

1 tolerance while others not.

2 We believe that some marketers may be  
3 taking advantage of the liberal tolerance that monthly  
4 balancing provides, and leaning on the use of  
5 midstream resources paid by sales customers. Based on  
6 the principle of fairness and leveling the playing  
7 field, it is reasonable that all customers should be  
8 held to the same set of balancing provisions and  
9 rules.

10 **Proceeding Time: 9:39 a.m. T10**

11 A few more reasons listed here. Moving  
12 exclusively to daily balancing may reduce or eliminate  
13 concerns over arbitrage opportunities captured under  
14 the monthly balancing provisions that we have today at  
15 the expense of sales customers. As stated earlier,  
16 FEI uses midstream resources to balance the system as  
17 a whole for which transportation customers effectively  
18 benefit from.

19 Moving to one set of balancing rules and  
20 provisions may led to more efficient use of FEI's  
21 midstream resources. If marketers and their customers  
22 behind them are balancing more tightly, FEI may use  
23 midstream resources less often to balance on their  
24 behalf, which addresses the Bonbright Principle Number  
25 3.

26 And as well, exclusive daily balancing

1 would in turn lead to a more fair allocation of FEI's  
2 system resource costs, which is in line with Bonbright  
3 Principle Number 2.

4 And lastly, at the workshop prior to filing  
5 the application, we asked marketers directly for  
6 feedback, and generally marketers appeared accepting  
7 of the proposal of daily balancing.

8 So for these reasons and considerations FEI  
9 is proposing to uphold daily balancing provisions to  
10 all customers across all service territories.

11 So now I'll talk about our proposal  
12 regarding the balancing tolerance. Currently it is 20  
13 percent, which is applied to daily balanced groups  
14 only. And I'll first walk you through a calculation  
15 of how this tolerance is applied.

16 Forgive the busy-ness of the slide.

17 So the balancing tolerance applies when  
18 under deliveries or drafting exceeds a 20 percent  
19 threshold. I'll walk you through. So in this  
20 incidence, actual supply delivered onto the system is  
21 10,000. The actual demand, however, is 15,000. So  
22 right off the bat there is an under-delivery of 5,000  
23 for which the customer may be subject to daily  
24 balancing charges.

25 But moving ahead to the surcharge  
26 calculation to determine if the tolerance is exceeded,

1       it's based on a greater of formula within the tariff.  
2       The formula takes the actual supply, which in this  
3       case is 10,000, and goes through a calculation  
4       deducing the greater of the actual supply times 120  
5       percent or actual supply plus 100 GJs. So in this  
6       case, when you do the math, the greater of the two is  
7       as I've circled, the 12,000.

8               So now, the surcharge threshold is based on  
9       the 12,000 relative to the actual demand of 15,000.  
10       So doing the math in this case, there's now a  
11       difference, an under-supply difference of 3,000. So  
12       based on this example, if this under-delivery occurred  
13       in the winter, the marketer or customer would pay  
14       \$1.10 per GJ in the amount of \$3300. And if in the  
15       summer, 30 cents per GJ in the amount of \$900.

16               So looking at transportation imbalances on  
17       the day, this graph was provided in the application  
18       reflecting 2015 data. What I'm providing here is data  
19       from 2016, and it looks at the supply and demand  
20       imbalances on a daily basis. The demand is the blue  
21       line and the supply is the red. As you can see, the  
22       lines are not perfectly matched. The data indicates  
23       that gas supply frequently deviates from demand by as  
24       much as 50,000 GJs on the day, and as one can see,  
25       these imbalances or fluctuations don't follow a  
26       specific pattern.



1                   Based on feedback and further evaluation,  
2 we determined that a balancing fee would not provide  
3 the right price signal to incent the right behaviour.  
4 Further, a balancing fee would effectively penalize  
5 some of the marketers today who are managing within  
6 tighter tolerances and bearing the costs to do so.

7                   Instead, FEI is proposing to tighten the  
8 balancing tolerance from 20 to 10 percent, to better  
9 incent marketers to manage supply and demand  
10 imbalances more closely.

11                   So why, or how did we come up with 10  
12 percent? Both Elenchus and Black & Veatch conducted  
13 industry reviews of the tolerance upheld by utilities  
14 in Canada and the United States. This research shows  
15 some utilities with a balancing tolerance of 5 percent  
16 or less. And as indicated earlier by Ron, utilities  
17 rarely exceed 10 percent and in also very rare cases  
18 uphold as low as zero percent.

19                   FEI feels a tolerance change from 20 to 5  
20 percent would be too stringent, as the terms and  
21 conditions in our rate schedule today allows FEI the  
22 right to impose a 5 percent supply restriction when  
23 warranted.

24                   So to better determine what the tolerance  
25 should be, how we arrived at the 10 percent, FEI  
26 looked in more granular detail as to how marketers are

1 balancing today.

2 So, this table was provided in the  
3 application and shows how individual shippers are  
4 balancing today. The data presented here is for the  
5 years 2014 and 2015, which have been analyzed  
6 together.

7 So I'll go through the columns. The  
8 shipper agent column, each letter corresponds to a  
9 shipper agent that has a pool in the Lower Mainland  
10 and/or inland or interior service areas. Daily or  
11 monthly indicates the composition of the group types  
12 that that marketer specifically holds. The service  
13 area, whether the customer pool is in the Lower  
14 Mainland or the Interior. The number of days of  
15 imbalance per year is the number of days in which  
16 shipper agents exceeded the 10 percent tolerance, and  
17 the demand per day is the average volume of gas  
18 delivered to the customer's pool per day, to give you  
19 an idea of the size of the marketer group.

20 So it's the last two columns that I want to  
21 draw your attention to. Generally, though, I can tell  
22 you that none of our marketers are perfect. Sorry to  
23 break the bad news. All have exceeded the 10 percent  
24 tolerance as marked by the number of imbalance days  
25 per year column.

26 What the red line is doing is marking or

1 distinguish the better performers from the poor  
2 performers that we have today. So below the red line  
3 demonstrates or shows shipper agents, largely all  
4 shipper agents listed there, managing daily balancing  
5 groups exclusively. And as you can see, they exceed  
6 the 10 percent tolerance less than 20 days in the  
7 year. And as you can see by the demand per day, those  
8 below the red line are managing both small and large  
9 customer groups.

10 **Proceeding Time: 9:48 a.m. T12**

11 Now, looking above the red line, these  
12 marketers have groups with both daily and monthly  
13 combinations and some hold sole monthly balanced  
14 groups. As you can see, these marketers exceed the 10  
15 percent tolerance between 100 to over 200 days in the  
16 years, and the range of demand per day is similar to  
17 those below the red line.

18 So what I'm trying to show here is that you  
19 have -- there's two different behaviours going on  
20 today. Some are holding daily balanced groups  
21 exclusively and managing within 10 percent today, and  
22 under the rules that we have in place, other marketers  
23 are managing differently and incurring imbalances,  
24 negative imbalances throughout the year at a much  
25 greater rate throughout the year.

26 So based on this, FEI is proposing to amend

1 the balancing tolerance from 20 percent to 10 percent.  
2 So given the tighter tolerance, we evaluated what the  
3 appropriate charges should be for this tighter  
4 balancing tolerance.

5 FEI is proposing a tiered approach in order  
6 to layer in charges that are incrementally higher as  
7 the threshold percentage is exceeded. With respect to  
8 the Tier 1 range, given that marketers today have  
9 demonstrated their ability to operate within their  
10 range, to some degree, and have beared [sic] the cost  
11 to do so, as demonstrated by my previous slide, FEI is  
12 not proposing a charge within this range.

13 As for the middle tier, Tier 2, FEI is  
14 proposing a 25 cents charge per GJ when imbalances  
15 occur within this bandwidth. And with respect to the  
16 Tier 3, FEI is not proposing any changes to the  
17 existing charges in place today.

18 So we feel this tiered approach with  
19 respect to charges sends the right price signal to  
20 incent the right behaviour to shippers to manage more  
21 tightly as tolerances are exceeded. If imbalances are  
22 managed more tightly, it will lead to a more efficient  
23 use of FEI's system or midstream resources. And  
24 should charges be incurred for exceeding these  
25 incremental threshold levels, they will be credited  
26 back to the midstream portfolio which accounts for a

1 more fair appointment of costs among sales customers.

2 So digging into how we arrived at the 25  
3 cents. FEI evaluated the variable costs involved to  
4 balance the system, which is effectively the cost to  
5 move gas in and out of storage. FEI evaluated this  
6 potential charge using a range of commodity prices as  
7 listed here. The middle section of the table shows  
8 the variable fees, such as the northwest pipe  
9 commodity charges, pipeline fuel, and storage fuel.  
10 The northwest pipe and storage fuel costs were  
11 calculated as a percentage of the commodity price. So  
12 as you can see, the resulting incremental variable  
13 costs range from 20 cents per GJ to 33 cents per GJ.

14 Based on this analysis, this is how we  
15 derived the 25 cents charge for the 10 to 20 percent  
16 range. FEI felt it was reasonable to apply a flat  
17 charge in both summer and winter months, as this  
18 charge, as calculated, should reasonably recover costs  
19 of balancing within this range.

20 And as I indicated earlier, FEI is not  
21 making any changes to the existing changes for the now  
22 Tier 3 when the 20 percent tolerance is exceeded.

23 We feel this tiered approach is reasonable  
24 and provides an incremental incentive to balance more  
25 tightly.

26 **Proceeding Time: 9:52 a.m. T13**

1                   So with that, in summary, there are three  
2                   proposals. Number one, to eliminate monthly balancing  
3                   and move to exclusive daily balancing for all  
4                   customers in all service territories. Amend the  
5                   balancing tolerance from 20 percent to 10 percent, and  
6                   implement a tiered balancing charge tolerance when  
7                   adopting the 25 cent charge within the 10 to 20  
8                   percent range. And that's it.

9                   MR. LANGLEY: I think a couple of slides back -- oh  
10                  sorry, Jim Langley, with the Industrial Consumers  
11                  Group. A couple of slides back you had the slide that  
12                  showed the balancing charges. Yeah, 25 cents, that  
13                  one. Or related to Sumas -- there you go, that's it.  
14                  Sumas price as a relationship to the variable cost.

15                  You've also pointed out that beyond 20  
16                  percent, the balancing costs are currently \$1.10 in  
17                  the winter, and 30 cents in the summer. Can you  
18                  reconcile that \$1.10 against any of the prices that  
19                  you've got here? I'm just wondering why there is such  
20                  a huge jump of you've calculated costs up to 33 cents,  
21                  but your current prices are \$1.10?

22                  MR. HILL: Shawn Hill, Fortis. Well, the existing tariff  
23                  at the \$1.10 and 30 cents, Jim, is supposed to be a  
24                  punitive penalty.

25                  MR. LANGLEY: It's supposed to be punitive. How do you  
26                  know -- when did that become determined that it was a

1           punitive penalty?

2 MR. HILL:    Well because we feel that the threshold, that  
3           20 percent is -- the marketer is not doing a  
4           reasonable demand to manage his supply/demand.

5 MR. LANGLEY:   Okay.

6 MR. HILL:    And that's the way its been for years.

7 MR. LANGLEY:   That's the way its been for some years, but  
8           I don't know that it was considered punitive at the  
9           time that that rate was developed. Because I was part  
10          of the group that developed it. We just didn't know  
11          what the charge should be, so we came up with  
12          something that we thought was appropriate at the time,  
13          which Stephanie has pointed out, was greater than 20  
14          years ago.

15 Mr. HILL:    Yeah.

16 MR. LANGLEY:   I think that given the development of the  
17          gas market in that timeframe, it might be worthwhile  
18          to look at whether that charge is still reasonable.

19 MR. HILL:    Well, so that's maybe a good point, but that  
20          was not asked in any of the IR questions that we had.

21 MR. LANGLEY:   Okay, fair enough.

22 MR. HILL:    During the process.

23 MR. LANGLEY:   Next question, Stephanie, you had a slide  
24          where you showed the difference between the  
25          transportation supply and demand over a particular  
26          year. I guess that's it. This is transportation

1 volumes only?

2 MS. SALBACH: Correct.

3 MR. LANGLEY: Did you ever compare those transportation  
4 volumes with core market swings and find out where the  
5 transportation customers were in fact aiding the core  
6 market in managing their imbalances? Or helping them  
7 with that imbalance? Presumably at some point in  
8 time, the transportation customer's swings are in  
9 direct opposite to the core market, and in fact they  
10 net to zero and are helping each other out. Do you  
11 examine that?

12 MR. HILL: Well, Jim, fair point to that is, is that --  
13 there's a couple of points. One is the midstream is  
14 paying -- the sales customers are paying for all the  
15 underlying fixed assets.

16 MR. LANGLEY: Right.

17 MR. HILL: So if we go back to the other slide, the  
18 charges slides. This is just variable cost.

19 MR. LANGLEY: Okay.

20 MR. HILL: Right? So the midstream is paying for all the  
21 underlying fixed costs of the storage assets and the  
22 transport, right?

23 MR. LANGLEY: Correct.

24 MR. HILL: So, at the end of it, what we're trying to do  
25 is to -- the bandwidths of the charges is trying to  
26 incent the right behavior for the marketers to balance



1 zero to 10 percent.

2 MR. LANGLEY: Okay. All right. One final question on  
3 your presentation, Stephanie, and that is this slide  
4 that you have that shows the customer, or the shipper  
5 agents that are good versus bad, if you will. The  
6 better than ten and less than ten. This one.

7 And I apologize, because I've never -- I  
8 see now as a footnote, this is an answer to CEC IR.  
9 But there was also another slide there similar to  
10 this that didn't differentiate between daily and  
11 monthly. And that is the question I want to ask about  
12 now.

13 When you say the numbers that are  
14 calculated in this slide, where you've identified that  
15 the shipper agent has both daily and monthly groups,  
16 are the demand per day calculations calculated  
17 separately between the daily and the monthly groups,  
18 and then added together? Or are they netted on the  
19 day?

20 MS. SALBACH: So, it's in the case of where a customer  
21 -- where a shipper agent has a daily and a monthly  
22 group, we are looking at the average demand for those  
23 two groups put together.

24 MR. LANGLEY: Sorry, the average demand --

25 MS. SALBACH: Average demand over two years. So this  
26 data was 2014 and 2015 data combined.

1 MR. LANGLEY: Mm-hmm. I recognize that.

2 MS. SALBACH: So in order to deduce the demand per day,  
3 we looked at the average demand of the two groups over  
4 the two years.

5 MR. LANGLEY: Okay, maybe I need to give you an example  
6 so that you and I can make sure we understand each  
7 other. You've pointed out that the way a lot of these  
8 marketers do their business is to underdeliver to  
9 their monthly customer and then overdeliver to their  
10 daily in order to avoid the \$1.10 and 30 cent  
11 balancing charges, correct? That's typical?

12 MS. SALBACH: Yes.

13 MR. LANGLEY: Okay. So let's take a scenario on a given  
14 day where they've delivered zero to their monthly  
15 group, because they don't need to, they're going to  
16 fix that later, and they've delivered 100 to their  
17 daily group. And, you know, let's say that their  
18 monthly group took 10, and their daily group took 50.  
19 Follow me so far?

20 So, I've got to check my own math here. If  
21 the daily group -- or the monthly group was out of  
22 balance by 10, the difference between 0 and 10, and  
23 the daily group was out of balance by 50, the  
24 difference between 50 and 100, is the calculation on  
25 that day 60, or is it 40?

26 MR. TAYLOR: This is John Taylor, Black & Veatch. I

1 think the confusion might arise that that column is  
2 representing just the demand of the customers. You're  
3 talking about the last column, demand over the day,  
4 average demand?

5 MR. LANGLEY: Yeah. Well, maybe this is a different  
6 chart again, or a different column than you previously  
7 had. Because before you were talking about the  
8 difference beyond 10 percent. Maybe I should put this  
9 off to a later question, because I'll reference the  
10 graph then.

11 MR. TAYLOR: The last column there is just the average  
12 demand per day. So it's just a measurement of demand.  
13 It doesn't take into account any of the supply side of  
14 what's being supplied. It's just the demand of those  
15 customers, aggregated.

16 MR. LANGLEY: The average demand per day annualized for  
17 that particular combination of daily and monthly  
18 customer group.

19 MR. TAYLOR: Correct.

20 MR. LANGLEY: Okay, thank you. That's it, thank you.

21 MR. HILL: Because, Jim, we're trying to get to establish  
22 the threshold. This graph is trying to establish, is  
23 the threshold of 10 percent a reasonable threshold.

24 MR. LANGLEY: Right. Okay. Thank you.

25 THE CHAIRPERSON: Are there any other clarifying  
26 questions before we move on? Okay.



1           that fair?

2 MR. AMEN:    Yeah, that's generally true.  But of course,  
3           the utility has to manage all of those, big and small,  
4           so it's always dealing with those on an aggregate  
5           basis every day.

6 MR. WEAFFER:    But on the concept of the cost should  
7           follow the cause, the larger shipper with a 10 percent  
8           tolerance has the potential to cause more cost on the  
9           system, is that fair?  Than the smaller shipper who  
10           is a 10 percent tolerance of smaller amount.

11 MR. AMEN:    I think generally that the -- if the large or  
12           small shipper can manage within a certain range, it  
13           makes it easier for the utility to manage those  
14           balances or imbalances than otherwise.  Certainly the  
15           larger volume that's being out of balance brings with  
16           it at least larger amounts of variable costs.

17 MR. WEAFFER:    Yes.  And even within the tolerance, they  
18           are causing larger costs.  The 10 percent is on a  
19           larger volume of GJs than a smaller customer.

20 MR. AMEN:    Yes, well certainly if they could balance to  
21           zero, there wouldn't be any cost, but that's not the  
22           case.

23 MR. WEAFFER:    And that's where I wanted to go, and it's  
24           still on the logic of the approach, is conceptually,  
25           could a model be developed on a per GJ basis from  
26           starting at zero, and per GJ the incremental cost went

1 up per GJ. So the volumetric -- or the penalty  
2 increases starting at zero, and as the volume  
3 increased the penalty increased such that there would  
4 be balance between small shipper and large shipper in  
5 terms of incremental costs being charged for being  
6 imbalanced?

7 MR. AMEN: Yeah, you have to keep in mind we're still  
8 dealing with variable cost per GJ. So, if you had a  
9 sliding scale, if you will, and really, we had kind of  
10 an example of that appear earlier, establishing some  
11 tolerance levels, it's probably a lot more manageable  
12 than trying to have some kind of sliding scale all  
13 along the range of values. And again, you have to  
14 also deal with the administrative ability to manage  
15 such a scheme, and I, quite frankly, don't see very  
16 many examples at all of that in the industry.

17 MR. WEAFFER: So the costs would outweigh the benefit.  
18 In terms of all the volumetric -- the large customer  
19 may cause more costs, the cost of an approach like  
20 this --

21 MR. AMEN: Yeah, and where do you draw the line? You  
22 could try and slice the cheese as thin as possible,  
23 but at some point, just administratively not feasible.

24 MR. WEAFFER: Fair enough.

25 MR. HILL: Mr. Weaffer, I think it is possible that you  
26 could start at zero but we chose for a variety of

1 reasons not to start at zero. First of all, as Ron  
2 pointed out, it's not industry's practice generally to  
3 start charging for tolerances at zero. We actually  
4 have an OBA balance with our upstream pipelines that  
5 don't charge us a penalty charge at zero either.

6 But we trend to zero. So there is some  
7 leeway on the midstream assets to balance on a daily  
8 basis, because we're not being charged by the upstream  
9 pipeline. But in some jurisdictions, if the upstream  
10 pipeline was charging you for every GJ that you were  
11 out of balance, well, then you might have to go to the  
12 model that you're looking at. But we have a little  
13 bit of a starting point of zero to ten. We felt it a  
14 reasonable approach from where our customers are today  
15 and the shipper agents, to move down the scale and we  
16 think that's appropriate.

17 MR. WEAFFER: Fair enough. Let's move to the scale then  
18 and the election. And maybe if we could turn to – and  
19 again, Mr. Amen, if you might deal with it first – the  
20 two slides, which I think are a very good summary,  
21 slides 15 and 16 for today's presentation and the  
22 reasons for daily balancing.

23 **Proceeding Time: 10:07 a.m. T16**

24 So, the election Fortis has made is to go  
25 from 20 percent to 10 percent. If we look at these  
26 reasons for daily balancing, including reducing

1       arbitrage, and improving system efficiency, Mr. Amen,  
2       would you agree with me that these topics would be  
3       even more effectively targeted moving to 5 percent as  
4       opposed to 10 percent in terms of the threshold?

5       MR. AMEN:    Well, certainly 5 percent is a predominant  
6       level in the industry.  However, I think Fortis looked  
7       at this more as a transitional step, if you will, such  
8       that they felt it was appropriate and adequate to move  
9       to 10 percent given the number of years that 20  
10      percent had been in place.

11      MR. WEAFFER:   And so, the question though, in your  
12      opinion, if you look at these objectives of daily  
13      balancing, and based on your assessment of generally 5  
14      percent being the tolerance, would Fortis more  
15      effectively achieve these objectives, moving from 20  
16      percent to 5 percent?

17      MR. AMEN:    Well, I think you have two things at play  
18      here.  First of all, you have marketers that are  
19      doing, as the one slide showed, a very good job  
20      without a lower tolerance in balancing the demands and  
21      the deliveries of their customers.  And so I think it  
22      was important for -- in the mind of FEI, not to want  
23      to penalize good behavior.

24                   And secondly, I think that in terms of  
25      arbitrage opportunities and so forth, they tend to  
26      diminish once you get to a certain level, and I think

1 a 10 percent level is probably adequate to minimize  
2 those opportunities.

3 MR. WEAFFER: Probably adequate, but your evidence is in  
4 more jurisdictions, 5 percent is seen as the fairer  
5 tolerance, is that correct?

6 MR. AMEN: Well, in particular, in those instances there  
7 is much tighter tolerances at the pipelines and less  
8 opportunity for handling those tolerance levels on  
9 their own. But certainly, 5 percent is better than  
10 10.

11 MR. WEAFFER: So, in terms of the talk in terms of  
12 transition, would you see it being -- and in terms of  
13 trying to ensure costs are following the cause, and  
14 the Commission approving a move to 5 percent at a  
15 later date is that it's 10 percent for three years,  
16 and 5 percent to go forward, that there be a  
17 transition phase to get to 5 percent?

18 MR. AMEN: You know, I really don't wish to speculate,  
19 but I think some history, some experience with moving  
20 to a 10 percent threshold would be warranted before  
21 any decision or effort to move at a more tighter  
22 tolerance level.

23 MR. BYSTROM: And I would just add, Chris, that, you  
24 know, under the current rules, FEI can impose a 5  
25 percent tolerance now under supply constraints. So  
26 there is that option in existence today.

1 MR. WEAVER: Yes, and so if the core is looking for a  
2 tighter tolerance not in the election, but mandated at  
3 all times, is that a reasonable target -- what would  
4 be a reasonable period of time of being at 10 percent  
5 before moving to 5 percent in terms of gaining the  
6 experience?

7 MR. HILL: So, Chris, there is a couple things there.  
8 One is, you have to -- you know, 5 percent, yeah, you  
9 could go there, but we are making a substantial amount  
10 of changes already from monthly to daily, so we have  
11 to get some history here, and market conditions and  
12 things could take a three or five-year period of time  
13 to play out to get some quality data to look at things  
14 over time, given that you're going to make a change on  
15 monthly to daily potentially, if the Commission  
16 approves that. Then you're actually adding on another  
17 layer of a tolerance change, and different market  
18 conditions and things like that.

19 **Proceeding Time: 10:12 a.m. T17**

20 So it's hard for us to predict how good or  
21 bad the behaviour is of the marketers. Some of them  
22 might just bear the costs of the tolerance. It's up  
23 to them now, based on the incentive, to decide are  
24 they going to bear the cost to do a better job  
25 themselves or pay the variable costs? It's their  
26 decision and I can't speak for them how they are going

1 to go about doing that.

2 MR. WEAFFER: So do you have a sense of -- you've talked  
3 about there's a lot of change as part of this  
4 application and it will take time for market to  
5 adjust. Do you have a sense of time as to when Fortis  
6 would move to what seems to be the dominant tolerance  
7 in the industry, 5 percent?

8 MR. HILL: I guess what we get back to is we're held to a  
9 certain zero -- like our OBAs. We're not bearing a  
10 charge at 5 percent from the upstream pipelines  
11 either, right? So we have some variance based on our  
12 core load, the total throughput with our interconnect  
13 and we're not bearing a charge there. Westcoast isn't  
14 charging us penalties on OBA, so why would we want to  
15 start to reflect that through to customers either?  
16 That's not -- in the business of moving gas through  
17 the system, we want customers to take gas and burn  
18 gas, because that has an overall benefit to the  
19 overall system as a whole too, right?

20 MR. WEAFFER: Thank you, those are my questions.

21 THE CHAIRPERSON: I think we're going to take a break  
22 until 10:30.

23 **(PROCEEDINGS ADJOURNED AT 10:15 A.M.)**

24 **(PROCEEDINGS RESUMED AT 10:30 A.M.)** **T18**

25 THE CHAIRPERSON: Go ahead, Mr. Bursey.

26 MR. BURSEY: Thank you, Madam Chair. I'm asking some

1 questions on behalf of the Industrial Customer Group.  
2 I'll have just a few questions. In fact I have about  
3 six questions, and the answers to the questions which  
4 are perfectly reasonable, are yes. If the answer is  
5 not yes, then we might have a few more. And then Mr.  
6 Langley might have a few more technical questions.

7 So, Ms. Salbach, in your earlier  
8 presentation you said a couple of things, including  
9 being perfectly balanced is impossible, and  
10 transportation shippers are required to use best  
11 estimates. Did I get that right?

12 MS. SALBACH: Correct, yes.

13 MR. BURSEY: And so a reasonable transportation shipper  
14 will be trying to balance the costs of being  
15 undersupplied versus the costs of overcontracting, to  
16 be oversupplied on the system. I think that's a  
17 statement that both you and Mr. Amen said, is that  
18 correct?

19 MS. SALBACH: Mm-hmm.

20 MR. BURSEY: And you would also affirm.

21 So, a responsible shipper that's exhibiting  
22 the behaviour that you want would, in most cases,  
23 probably 100 percent of the time be oversupplied. Is  
24 that correct?

25 MS. SALBACH: To what degree of oversupply each shipper  
26 -- you know, we don't expect a huge degree of

1           oversupply, but yes, the rules would incent generally  
2           speaking to be a bit above on a daily basis.

3 MR. BURSEY:    Right.  And your graph, where you showed the  
4           pack on the system, demonstrates that for the shippers  
5           that are currently required to be daily balanced, that  
6           they tend to be oversupplied rather than undersupplied  
7           to avoid penalties.  That's correct?

8 MS. SALBACH:    Correct, yes.

9 MR. BURSEY:    And having that extra pack on the system  
10           assists FEI in managing its balancing requirements,  
11           both for its core market and also with the upstream  
12           transportation pipeline?

13 MS. SALBACH:    Well, when you use the word "assist", FEI  
14           contracts midstream resources under the annual  
15           contracting plan to manage the supply needs of core  
16           customers.  So we bear the fixed costs --

17 MR. BURSEY:    Right.

18 MS. SALBACH:    -- to manage this supply and demand, or the  
19           demand of core customers.  So, your question  
20           specifically is --

21 MR. BURSEY:    Well, to the extent that you have extra pack  
22           on the system, you have some tolerance on the system  
23           operationally on a daily basis, that you can manage  
24           the supply of your core customers.

25 MS. SALBACH:    So, as I showed in my slide, the days of --  
26           the pack incurred by transportation customers is

1 variable. It fluctuates.

2 **Proceeding Time: 10:33 a.m. T19**

3 And so therefore it's unreliable from FEI's  
4 perspective. We don't ask for transportation  
5 customers to provide us with excess gas beyond  
6 reasonable levels.

7 MR. BURSEY: No, no, but earlier in the questioning we  
8 established that customers exhibiting behaviour that  
9 you're trying to get with these changes will tend to,  
10 in most cases, to have more supply in the system than  
11 they actually require.

12 MS. SALBACH: That's correct, they tend to have more  
13 supply.

14 MR. BURSEY: And to the extent that's true, that assists  
15 FEI in managing its balancing requirements, does it  
16 not?

17 It seems fairly straight forward. You've  
18 got extra supply in the system that's packed beyond  
19 the demand of the transportation customers.

20 MR. HILL: And so we do get oversupplied a little bit on  
21 the daily, but as Stephanie mentioned there, we can't  
22 rely on it. It's not predictable. How much is the  
23 over-supply? And ultimately we have to return that  
24 gas to them at some point and time too, from an  
25 imbalance return perspective.

26 MR. BURSEY: But to the extent it's there, it's

1 something that you can draw on on a day.

2 MS. SALBACH: No, we would have to bear the costs to  
3 manage to that excess supply. In other words, incur  
4 variable costs to move in and out of storage and so --  
5 and as Shawn says, return it at a later date and may  
6 incur variable costs to do so at that time as well.

7 MR. TOKY: So if I can just interject here. So the  
8 answer to your question, David, is no, and that's what  
9 basically Stephanie and Shawn is explaining why.  
10 There is an additional pack which is provided by the  
11 transportation customers. So on any given day we  
12 can't rely on that for the balancing of the core  
13 market requirements or any other requirements. So  
14 just because it fluctuates over the year, and it is  
15 unreliable, so the answer is no, and those are the  
16 reasons that are given by them.

17 MR. BURSEY: Right. Thank you. But you can't rely on  
18 it, but to the extent that you are short in your  
19 supply on the system, and your core market supply  
20 draws more than you had in the system, they are going  
21 to be drawing from that pack, are they not? And  
22 you'll feed in to make up that balance later. Isn't  
23 that correct?

24 MR. TAYLOR: Can you repeat the question? We had a  
25 conversation --

26 MR. BURSEY: Sure, that's okay. If you need to talk

1 further, go ahead, because -- I'll ask my questions.

2 To the extent there's extra pack in the  
3 system and the core market that FEI is serving draws  
4 more than you would expect on that day, it gets  
5 slightly colder, there's more demand, they'll draw  
6 from that pack, won't they?

7 MR. HILL: That assumes, Mr. -- that --

8 MR. BURSEY: You didn't rely on it, but that's the  
9 consequence.

10 MR. HILL: We actually have to -- if the supply on the  
11 other side of the equation is if we're matching supply  
12 demand for the core, and we're long resources because  
13 of that pack, what do we actually do with it?

14 MR. BURSEY: Right.

15 MR. HILL: We actually have to turn the resource down on  
16 the core side to absorb the gas from the sales -- from  
17 the transport customers, and then ultimately we  
18 actually have to return the gas to you. So how is  
19 that a net benefit to the core?

20 MR. BURSEY: Well, on the day that the demand is there--

21 MR. HILL: We have to turn down some of our resources  
22 potentially.

23 MR. TOKY: And the point that we are trying to make here  
24 is those resources that we are turning down on that  
25 day have already been contracted for under the annual  
26 contracting plan, so some of those costs are actually

1 the fixed costs, you know, which are pertaining to  
2 those transportation capacity and the storage related  
3 assets that sales customers contract for under our  
4 midstream portfolio.

5 **Proceeding Time 10:37 a.m. T20**

6 MR. BURSEY: So it's a disadvantage to have industrial  
7 pack in the system?

8 MR. HILL: It's something that we have to manage and  
9 bear the cost for.

10 MR. BURSEY: So why are you introducing tolerances  
11 that'll force more of that pack to come into the  
12 system?

13 MR. HILL: We're not.

14 MR. BURSEY: Well, by going from 20 percent 10 percent  
15 that would be a consequence.

16 MS. SALBACH: No, but we see marketers today --

17 MR. BURSEY: I'd like to answer that question. Going  
18 from 20 percent daily tolerance to 10 percent daily  
19 tolerance, wouldn't you expect that the T -- the  
20 transportation customers that are exhibiting the  
21 behaviour that you want would err on the side of  
22 having too much on the system than too little? Is  
23 that correct, Mr. Hill?

24 MR. HILL: That's a potential outcome.

25 MR. BURSEY: Yes.

26 MR. HILL: But --

1 MR. BURSEY: Isn't it a likely outcome?  
2 MR. HILL: No, because we have existing customers today  
3 that are managing within the 10 percent tolerance and  
4 managing within a two to three pack, day pack.  
5 MR. BURSEY: Right, so those customers might continue  
6 with the behaviour they have, but the ones that are  
7 not exhibiting the behaviour that you have, wouldn't  
8 you expect them to move to having more gas on the  
9 system?  
10 MR. HILL: Well, and then they still have to apply to the  
11 tariff, which means to match supply and demand, to  
12 which we can ask them to reduce their --  
13 MR. BURSEY: Right, so aren't you -- wouldn't you expect  
14 with these increased tolerances that the customers  
15 that tend to be under their supply more often would  
16 move to a situation where they'd be having more supply  
17 in the system? Isn't that what you're trying to get  
18 them to do?  
19 MR. HILL: No, no. No, we're trying to get them to  
20 manage on a closely day-to-day basis, to manage their  
21 supply and demand within a 10 percent tolerance.  
22 MR. BURSEY: So you have a number of customers currently  
23 that are on monthly balancing and you'd like to move  
24 them all to daily balancing. And the graph earlier  
25 that you put up, Ms. Salbach, showed that those that  
26 are on monthly balancing tend to be drawing from the

1 system quite often. They're under supply. So  
2 wouldn't you expect, if you moved to daily balancing,  
3 that those monthly balancing customers would put more  
4 gas on the system so they're avoiding being under on  
5 any particular day?

6 MS. SALBACH: We would expect them to manage within a  
7 tighter tolerance and match supply and demand.

8 MR. BURSEY: Right, which would mean putting more gas in  
9 the system to make sure there's not under --

10 MS. SALBACH: To adequately match supply and demand,  
11 right.

12 MR. BURSEY: Right, so that's putting more gas in than  
13 you'd currently see on a day -- daily basis.

14 MR. TAYLOR: I think --

15 MR. BURSEY: I'd like an answer from her first.

16 MR. BYSTROM: Excuse me, Mr. Bursey. The witnesses can  
17 answer the question.

18 MR. BURSEY: Right, but I'm having a conversation with  
19 Ms. Salbach.

20 MR. BYSTROM: Mr. Bursey, it's a panel here.

21 MR. BURSEY: My questions for you will be later, Mr.  
22 Bystrom.

23 MR. BYSTROM: I'm not answering a question, Mr. Bursey.  
24 John Taylor here has something to add to your last  
25 question.

26 MR. BURSEY: Okay.

1 MR. BYSTROM: So before you proceed.

2 MR. BURSEY: Go ahead, Mr. Taylor.

3 MR. TAYLOR: Thank you. I think the questioning is going  
4 down the route of us trying to ascertain the business  
5 practices of the suppliers of the marketers, and it's  
6 hard to know exactly if they will overpack or to what  
7 degree they will. There's obviously a cost to them of  
8 doing that. So they have to weigh the cost of  
9 overpacking and the additional supply that they would  
10 put above what they're anticipating with the  
11 alternative, which is the balancing tolerance tiers  
12 and levels that are being set up by Fortis.

13 So it's hard to predict exactly to what  
14 degree they'll overpack. I think to sum it up,  
15 they're trying -- Fortis is trying to set the rules up  
16 to decrease the delta, the difference between the  
17 supply and demand, to reduce the amount of imbalances  
18 that they have to do something with.

19 MR. BURSEY: But if I understand the gist of the  
20 conversation we've been having, Fortis would like to  
21 try to avoid under supply, so being -- so that you  
22 don't want over supply but you would want on a daily  
23 basis that industrial customers be more in balance so  
24 you'd avoid the graph situation which was showing that  
25 there was a number of monthly customers -- monthly  
26 balance customers that were undersupplied on a daily

1 basis. That question was not clear.

2 You had --

3 **Proceeding Time 10:42 a.m. T21**

4 MS. SALBACH: So, clarify.

5 MR. BURSEY: No, the entire point of moving from monthly  
6 balancing to daily balancing is to make sure that  
7 you're in tighter supply on a daily basis. Is that  
8 correct, Mr. Taylor?

9 MS. SALBACH: Well, moving to daily balancing, yes.

10 MR. BURSEY: Right.

11 MS. SALBACH: We expect, as we do today, for shipper  
12 agents to manage their supply and demand with best  
13 efforts to bring on enough supply to meet demand.

14 MR. BURSEY: And we agreed earlier, and both you and Mr.  
15 Amen said in your presentations, that you're -- when  
16 you're weighing the difference between overcontracting  
17 for supply or paying penalties, you're going to tend  
18 to err on the side of being oversupplied slightly.

19 MS. SALBACH: We don't --

20 MR. BURSEY: It's hard to hit 100 percent perfectly. You  
21 said that balancing is -- perfect balance is  
22 difficult.

23 MR. BYSTROM: Mr. Bursey, just one question at a time.

24 MR. BURSEY: Sure.

25 MR. BYSTROM: It's getting a little hard for the  
26 witnesses to follow.

1 MR. BURSEY: Thank you, Mr. Bystrom.

2 MR. BYSTROM: So, what's your question?

3 MR. BURSEY: Ms. Salbach, you said that perfect balancing  
4 is difficult. Right?

5 MS. SALBACH: Sure, yes.

6 MR. BURSEY: And to avoid penalties, you're going to have  
7 to contract slightly over than your target, to make  
8 sure that you don't fall under your target, most of  
9 the time. Is that correct?

10 MS. SALBACH: Well, what we see today is generally daily  
11 balanced groups bring on somewhat more supply than  
12 what is needed within reason.

13 MR. BURSEY: Right.

14 MS. SALBACH: To balance on a daily basis. But what they  
15 will -- what customers, and what Shawn had said  
16 earlier, what marketers will do going forward, will  
17 they bear the costs to manage more tightly, or will  
18 they -- you know, or will they incur the penalty and  
19 that's their commercial choice.

20 MR. BURSEY: Right. But there's a group of customers  
21 that are currently monthly balanced that is going to  
22 be brought into that same category as the daily  
23 balanced category of customers.

24 MS. SALBACH: Yes.

25 MR. BURSEY: Would it not be reasonable to expect they  
26 would exhibit similar behaviour to the ones that are

1           there currently?

2 MS. SALBACH:   Well, we would expect that marketers today,  
3           some marketers, have daily and monthly balance groups  
4           together.

5 MR. BURSEY:    Right.

6 MS. SALBACH:    And some have just monthly, and some have  
7           just daily. We would expect that as I showed with the  
8           graph with the red line, of groups today managing  
9           daily balance to customers, of small and large demand  
10          on a daily basis, they're doing so today within that  
11          10 percent tolerance, less than -- you know, on a --  
12          largely throughout the year.

13                        So we would expect that based on the fact  
14          that it's being done today, that the other shipper  
15          agents managing daily and monthly groups, and those  
16          managing monthly groups exclusively, can adopt similar  
17          tendencies or day-to-day practices as daily -- as  
18          others are demonstrating today.

19 MR. BURSEY:    I think you've agreed with me that moving  
20          from -- the customers moving from monthly to daily  
21          balancing would tend to follow the same types of  
22          practices as the ones that are daily balanced today,  
23          so they would tend to oversupply slightly.

24 MS. SALBACH:    They may.

25 MR. BURSEY:    Would you expect that? Isn't that what  
26          you're trying to get them to do?

1 MS. SALBACH: Well --

2 MR. BURSEY: Can we put up the slide where you have the  
3 comparisons, the daily --

4 MR. HODGINS: When they get moved into the daily balance  
5 group, there is a tool of imbalanced returns, so it's  
6 accessed to their inventory. So Fortis allows, when  
7 the marketers are delivering gas in on behalf of their  
8 customers, they can utilize a portion of their  
9 inventory as a portion of the supply. So your -- and  
10 Fortis can control how much their imbalance return or  
11 access to inventory they are allowing.

12 So your point was saying that you're going  
13 to tend to possibly overdeliver, but you don't have to  
14 always overdeliver if your -- you have that inventory.  
15 And Fortis is trying to work to maintain a couple of  
16 days of inventory working with the marketer and the  
17 customers. But you can utilize all the tools in the  
18 tool box --

19 MR. BURSEY: Right.

20 MR. HODGINS: -- to try to match your supply and demand  
21 more tightly. And that's what we're trying to achieve  
22 through the application.

23 MR. BYSTROM: Right. And before you -- you actually  
24 asked two questions again. You've got what you expect  
25 and what we're trying to get them to do. And I think  
26 the witnesses should answer the questions, what we

1 expect and what are we trying to get them to do. Two  
2 questions.

3 MR. BURSEY: Okay. What are you trying to get the  
4 customers in the monthly balancing --

5 MS. SALBACH: What do we expect? We expect that all --

6 MR. BURSEY: Sorry, I'll ask the question clearly, so we  
7 can get a clear answer to a clear question.

8 MS. SALBACH: Okay.

9 MR. BURSEY: What do you expect -- what are you trying to  
10 get the customers in the monthly balancing group to do  
11 when you move them to daily balancing?

12 **Proceeding Time: 10:47 a.m. T22**

13 MS. SALBACH: What do we expect? Well, we expect what  
14 we expect them to do today, which is manage and bring  
15 on sufficient supply to meet demand on a daily basis.

16 MR. BURSEY: Right. And to do that, they would tend  
17 supply slightly more than their 100 percent  
18 requirement.

19 MS. SALBACH: They may.

20 MR. BURSEY: But isn't that the behaviour you see with  
21 the current groups that's daily balanced? They tend  
22 to pack more in the system?

23 MS. SALBACH: Yes, and we see, as I showed on the slide,  
24 that some marketers managing daily balance groups,  
25 yes, they do maintain a pack on our system, but they  
26 do so within reasonable levels, and when I say

1 reasonable, I mean two to three-day average  
2 consumption. No greater than two to three-day average  
3 consumption of pack on our system.

4 MR. BURSEY: So you'd expect that the ones that move  
5 from monthly balancing to daily balancing would  
6 probably behave in a similar fashion.

7 MS. SALBACH: We would expect them to, yes.

8 MR. BURSEY: Okay, those are the answers to the  
9 questions, Mr. Bystrom.

10 So to the extent that you now have  
11 everybody on daily balancing, you're going to have  
12 more inventory on the system. Is that a reasonable  
13 expectation?

14 MS. SALBACH: So with everybody moving to daily  
15 balancing, we would continue to manage and request the  
16 two to three-day pack on our system for all shipper  
17 agents. So we feel the inventory levels can be  
18 managed based on this request.

19 MR. BURSEY: Could you just put up the slide which  
20 showed a comparison of the daily versus monthly?

21 So if I understood your explanation  
22 attached to this slide, you showed that the daily  
23 balance groups tend to have slightly more pack on the  
24 system to meet their daily balancing requirements than  
25 the monthly shippers. Is that correct?

26 MS. SALBACH: So what we see today is for marketers that

1 hold daily and monthly balance groups where there is  
2 an over-supply in the daily, there's typically a  
3 corresponding under-supply in the monthly. What we've  
4 seen today is marketers will delivery zero to their  
5 monthly group and over-supply the daily, and my job is  
6 I look on a net basis, what is the burn consumption in  
7 both the daily and the monthly and where is their  
8 supply at to meet that aggregate demand. Right?

9 MR. BURSEY: Right. So if we take away the monthly  
10 balancing option, you will no longer be able to do  
11 that inter-group balancing, if I can --

12 MS. SALBACH: I won't need to look at them on a net  
13 basis because the monthly will go away.

14 MR. BURSEY: You'd expect the graph to look like the one  
15 on the left?

16 MS. SALBACH: No, because the -- so, this looks at them  
17 in isolation, and as I say, some of these groups are  
18 deliberate -- that there's a deliberate over-supply  
19 only because there is no supply on the monthly  
20 corresponding or nominal. It in no way -- so net  
21 between the two groups, you know, they're meeting  
22 their demand. This is just nominating practices.

23 **Proceeding Time: 10:51 a.m. T23**

24 MR. BURSEY: But you won't -- if you no longer have the  
25 option to monthly balance within a group, you're going  
26 to have to make sure that you meet the daily balance

1 requirements for all members of your group. You won't  
2 have the ability to --

3 MS. SALBACH: Correct, you won't have that ability  
4 anymore.

5 MR. BURSEY: So you will tend to put more gas in the  
6 system to avoid being short.

7 MS. SALBACH: But what we're seeing today is shipper  
8 agents managing daily balance groups --

9 MR. BURSEY: Right.

10 MS. SALBACH: -- are not excessively over-supplying.  
11 They are managing within the two to three-day pack.

12 MR. BURSEY: Right.

13 MS. SALBACH: And they're --

14 MR. BURSEY: I'm not suggesting that the new shippers in  
15 that group will over -- excessively oversupply. My  
16 point is, that they will have to slightly oversupply  
17 for all of their customers. They can't be short on  
18 any customer, because there will be no monthly  
19 balancing option for any customer group?

20 MS. SALBACH: Right, there won't be any monthly. But if  
21 they are short on the day, within the tariff they will  
22 still be subject to daily balancing gas to balance  
23 them.

24 MR. BURSEY: Right.

25 MS. SALBACH: If they don't bring on enough direct  
26 supply, as Kevin had mentioned, there is imbalance

1 return, tool to used to manage to use the additional  
2 banked supply on the system in order to meet daily  
3 demand?  
4 MR. BURSEY: So that's a costly option versus making sure  
5 you have enough supply in the first place, isn't it?  
6 MS. SALBACH: Is what a costly option?  
7 MR. BURSEY: You're introducing penalties for being  
8 under-supplied --  
9 MR. HILL: Mr. Bursey, I would argue that we are not  
10 asking them to penalties. Those are just bring on  
11 your -- match your daily supply.  
12 MR. BURSEY: right.  
13 MR. HILL: And so you're either buying the resource in  
14 the open market to match what you think you're going  
15 to do, or you're going to pay the sliding scale and  
16 the cost. That's the marketer choice.  
17 MR. BURSEY: Right, but would you not expect that the  
18 customers would -- you've priced those --  
19 MR. HILL: Well if I had a customer -- if I was a  
20 customer, and I was getting a 25 cent charge every day  
21 from my shipper agent, I'd be asking them why am I  
22 paying you to manage my business?  
23 MR. BURSEY: Right, so the reason you've set that charge  
24 as it is, is you want to incent customers to make sure  
25 that you're not drawing on the FEI system, you are  
26 putting enough supply in the system?

1 MR. HILL: Yeah.

2 MR. BURSEY: I am struggling with why this is such a  
3 difficult proposition to get you to agree with. But  
4 moving from monthly to daily would tend to make you  
5 bring -- you have to make sure you have enough gas  
6 every single day. You can't be short on a few days,  
7 like you can now, when you are under a monthly system.

8 MR. HODGINS: But you can, and that is what I mentioned  
9 earlier. Is that we do provide access to their  
10 inventory free. There is no cost, right? So when  
11 they're delivering, they can forecast, if they think  
12 their customers are using 10,000, right?

13 MR. BURSEY: Right.

14 MR. HODGINS: They deliver -- if they built up a bit of a  
15 pack, they can put in a nomination to utilize part of  
16 their inventory, and there is no cost for that. So  
17 that goes into the overall equation of, did I manage  
18 my business within the 10 or 20 percent? Is my supply  
19 plus whatever I've asked for of access to my  
20 inventory? If I use it or not, that goes into a  
21 calculation. So, you can mitigate some of those  
22 chances of being out of balance.

23 MR. BURSEY: But when you're under a monthly balancing  
24 system, you have a lot more leeway, do you not?

25 MR. HODGINS: Yes.

26 MR. BURSEY: Right, so if you move to daily, you can draw

1           from pack, a two to three day pack --

2   MR. HODGINS:    Yeah.

3   MR. BURSEY:     -- but that's a lot tighter tolerance than a

4           monthly balancing?

5   MR. HODGINS:    Right, and that's what we're trying to

6           achieve.

7   MR. BURSEY:     Right, so --

8   MR. HODGINS:    So we know that the supplies coming in is

9           going to match the customer demand.

10   MR. BURSEY:    Right. So you have to -- going from monthly

11           to daily, it tightens up your ability to be flexible

12           and how you manage the --

13   MR. HODGINS:    Whose flexibility?

14   MR. BURSEY:     The shipper.

15   MR. HODGINS:    Right.

16   MR. BURSEY:     The shipper has to have more -- can't rely

17           on being drawing for seven days and then making it up

18           afterwards. Is --

19   MR. HODGINS:    Correct, that's what we're going back to in

20           the tariff. They are supposed to use best estimates

21           to match their supply and demand.

22   MR. BURSEY:     So you're getting -- the net result of that

23           would be more pack on the system because customers --

24   MR. HODGINS:    No, we're managing -- we want to manage it

25           within two to three days, and we provide those tools

26           to allow that.

1 **Proceeding Time 10:55 a.m. T24**

2 MR. BURSEY: Right, and to the extent that you've got,  
3 when you're going to -- the daily tolerance of 10  
4 percent instead of 20 percent, that will provide  
5 greater incentive for customers to make sure that they  
6 are not short -- they have less flexibility on a daily  
7 basis as well.

8 MR. TOKY: I think it's -- you know, what we are  
9 discussing here is not a question of the flexibility  
10 of the shipper agents or not. What we are trying to  
11 say is that a shipper agent should be managing their  
12 supply and their demand on a daily basis, so they  
13 should be matching their supply with the demand that  
14 they think is going to happen.

15 So, what Stephanie has shown us today and  
16 this morning, you know, there are reasons why we  
17 believe monthly balancing should not exist in our  
18 balancing provision rules, under the transportation  
19 services appeal.

20 So it's not a question about the  
21 flexibility that shipper agent has under the monthly  
22 balancing or not. What we have shown is there are  
23 reasons, a variety of reasons, to move exclusively to  
24 the daily balancing, and not the monthly balancing.  
25 Right? So I just wanted to make sure that we are not  
26 talking about only the flexibility part here. We're

1 making some good reasons here why we should be moving  
2 over to daily balancing as a whole.

3 MR. BURSEY: And just to put your mind at ease, Mr. Toky,  
4 the customer group that I represent is daily balanced,  
5 and supports the idea of moving from monthly to daily.  
6 I'm just trying to explore the consequence on the  
7 system of what that means. If there is fewer shippers  
8 that can monthly balance, every transportation  
9 customer is going to have to manage their supply  
10 within a lot tighter tolerance.

11 MR. TAYLOR: Yeah, and I think the slide will actually  
12 help that we brought up here. This is what was  
13 covered earlier about the days of pack system-wide.  
14 And I think what the expectation is, and the goal, is  
15 for the volatility and the range of the slide to  
16 tighten.

17 MR. BURSEY: Right.

18 MR. TAYLOR: To get closer to the two to three. So  
19 there's no -- you know, the question of, in aggregate,  
20 do we expect for there to be more oversupply? I don't  
21 think that's quite the essence of what Fortis is  
22 trying to accomplish here. I think it's really  
23 decreasing the volatility of the days of pack, and  
24 having some more consistency across the year, to keep  
25 it to that two to three days that they are hoping for.

26 MR. BURSEY: Right. So there would be -- you're trying

1 to take out the -- you tighten up that curve. But the  
2 way that that would occur is, shippers that are trying  
3 to manage on a daily basis that formerly are on a  
4 monthly basis, have to manage their supply within a  
5 much tighter time frame. Is that correct?

6 MR. TAYLOR: Yes.

7 MR. BURSEY: Okay. And that would mean, when you're  
8 trying to assess between paying penalties or  
9 overcontracting slightly, you would tend to favour  
10 overcontracting slightly. So you've got a bit of pack  
11 in the system. Is that correct?

12 MR. TAYLOR: Yeah, again --

13 MR. BURSEY: I think -- right?

14 MR. TAYLOR: I think that was agreed to, that there would  
15 be a slight increase for those particular customers  
16 because of the movement from monthly to daily. I  
17 think the magnitude of that is questionable, and the  
18 ultimate impact on the system, on an aggregate level,  
19 is questionable.

20 MR. BURSEY: To the extent that there are fewer  
21 transportation customers drawing from the system, and  
22 there's a tighter range on the pack, illustrated on  
23 this graph, that makes it easier for Fortis to manage  
24 its balance obligations and serve its core customers,  
25 does it not?

26 MS. SALBACH: If shipper agents --

1 MR. BURSEY: Because if transportation customers are  
2 looking after themselves better.

3 MS. SALBACH: If shipper -- yes. That the -- exactly.  
4 And there's two different models at play here. We,  
5 Fortis, contract for supply on behalf of our core  
6 customers.

7 MR. BURSEY: Mm-hmm.

8 MS. SALBACH: And transportation marketers are  
9 responsible for the supply needs of their customers.  
10 So, we expect these two models to be, you know,  
11 working well and as intended.

12 MR. BURSEY: So that will provide a benefit to the core  
13 customers?

14 MS. SALBACH: As I had indicated, yes. If shipper agents  
15 manage their demand more tightly, then this may result  
16 in less use of midstream resources to balance them on  
17 their behalf.

18 MR. BURSEY: Thank you. Those are all my questions. I  
19 think Mr. Langley might have a few more  
20 clarifications.

21 MR. LANGLEY: Okay, so it's Jim Langley again with the  
22 Industrial Customer Group. And I have questions that  
23 really relate, I think, predominantly to a response to  
24 BCUC IR No. 1, page 236, which is a graph that shows  
25 the ten days of the greatest absolute difference  
26 between aggregate and actual daily supply, and

1 aggregate actual daily demand.

2 **Proceeding Time: 11:01 a.m. T25**

3 And another graph that I referred to earlier that a  
4 modification of which was presented earlier today, but  
5 this is table 10-8 of the 2016 rate design  
6 application, which Fortis seems to be pointing to as  
7 evidence that the tolerances for daily balancing need  
8 to be tightened.

9 And I think, as David has pointed out,  
10 generally my group is a daily balanced group and so we  
11 are not against the elimination of monthly balancing.  
12 As an aside, I believe that Fortis has the tools to  
13 manage a monthly group but evidence has shown that  
14 they, for whatever reason, aren't doing that, and  
15 therefore a move to daily balancing is in our favour.  
16 Because I don't want other marketers gaming the system  
17 at a cost to either the core market or my customers.

18 But to get to the idea that Fortis believes  
19 the tolerances for daily balancing need to be  
20 tightened, obviously I dispute that. I think, in fact  
21 -- well, they may not necessarily be loosened, maybe  
22 the charges associated with balancing should be looked  
23 at based on the fact that they have been in place  
24 since the early '90s and we are 25 years into things.

25 As I pointed out earlier, the balancing  
26 charges in the winter time are far greater than 20

1           percent, or \$1.10 and in the summertime are 30 cents  
2           and I just, based on the evidence that Black & Veatch  
3           has produced and certainly my own experience in 25  
4           years in the industry, I don't think that that \$1.10  
5           is justifiable on a go-forward basis.

6                       Black & Veatch, in their study cites that a  
7           5 percent tolerance is a median in their words. But  
8           I'm curious, did Black & Veatch in their study look at  
9           why the tolerance was established at 20 percent for  
10          the Fortis service area? Is that even considered?  
11          Did you look at why it was there? Why it made sense  
12          at the time? Why it doesn't make sense now?

13 MR. BYSTROM:    Just before answer that question, I just  
14                   wanted to note, just from a procedural point of view,  
15                   Jim, like question and answer period is not the time  
16                   for evidence and argument. So, I mean there is no  
17                   evidence on the record to support what your general  
18                   submissions are there. I just wanted to note it.

19 MR. LANGLEY:    Okey-dokey. And again, I thought this was  
20                   a more informal process where we could back and forth  
21                   with --

22 MR. BYSTROM:    It's just from a procedural point of view.  
23                   We haven't had a chance to ask questions, we haven't  
24                   seen -- and you're making general suppositions about  
25                   like what's out there in the industry and it's fine,  
26                   let's just proceed, I just wanted to note that.

1 MR. LANGLEY: Okay, fair enough. Did Black & Veatch look  
2 at the 20 percent window and consider its  
3 justification?

4 MR. AMEN: Well, the 20 percent level had been in place,  
5 as you mentioned, for a long time, and we got a  
6 historical perspective, but we weren't specifically  
7 trying to justify what happened twenty years ago.  
8 Nor did we try and find out why various utilities have  
9 a 5 percent tolerance. We were doing a benchmarking  
10 study on these various levels, but we weren't trying  
11 to look behind to look at the regulatory history or  
12 the reasons why a particular level had been set.

13 MR. LANGLEY: But in the analysis of the utilities that  
14 you looked at, you cited that they seemed to vary  
15 between -- was zero and 10 or zero and 20 percent?  
16 That type of range with a median of 5 percent?

17 MR. AMEN: There were a few that were even in excess of  
18 10 percent.

19 MR. LANGLEY: Okay, so we'll leave it at an excess of 10.  
20 But -- okay.

21 MR. AMEN: We didn't do a statistical type of sampling.  
22 This was more trying to, as I said earlier, look at  
23 characteristics of the utilities that would have both,  
24 say, transmission and distribution infrastructure  
25 located near market hubs of a pretty good size and  
26 geographic variability.

1 **Proceeding Time: 11:06 a.m. T26**

2 MR. LANGLEY: Right. And this is a question that I  
3 asked, I think a year ago when we had the first round  
4 of these things, but is it fair to say that the  
5 utilities with the tighter tolerances also typically  
6 have access to market area storage that allows them to  
7 balance to these type of tolerances? Is that fair?

8 MR. AMEN: I think I could say that it helps to  
9 facilitate balancing when you do have market area  
10 storage at your availability.

11 MR. LANGLEY: And maybe I should ask this question of  
12 Fortis then. Is it also true that in the 25 years  
13 since the 20 percent balance window was established,  
14 that there has been no change to the access to market  
15 area storage in Fortis's service area?

16 MR. HILL: So physically, Jim, I think the storage is  
17 generally the same. There is Mist storage now that  
18 wasn't there. JPS was the -- so that's an incremental  
19 storage in the region. But what --

20 MR. LANGLEY: But that's not market area storage. We  
21 don't --

22 MR. HILL: Mist is market area storage. It's located in  
23 Oregon.

24 MR. LANGLEY: Well, on system market area storage so  
25 that we have an ability, if we don't take the gas to  
26 just go to the utility and say, "You know what? Just

1 dump that into the storage thing, and I'll pay my  
2 storage fee."

3 MR. HILL: So Jim, I guess what our point is -- related  
4 to, the commercial marketplace has changed, and what  
5 is driving the change? There's access to five  
6 commercial windows to secure your gas supply  
7 requirements. That's different than 20 years ago.

8 MR. LANGLEY: Right.

9 MR. HILL: So it's the marketer or shipper agent's  
10 responsibility to, as the day unfolds, to match your  
11 supply and demand on a daily basis, and they have five  
12 chances or windows to commercially go out and do that.

13 MR. LANGLEY: And when is the window that one has a  
14 chance to --

15 MR. HILL: That's three o'clock or four o'clock the day  
16 of.

17 MR. LANGLEY: The day of, which we are now only about --  
18 since the day starts at 7:00 in the morning, we're  
19 only about -- what? Twenty-five percent, thirty  
20 percent into the day?

21 MR. HILL: Yes.

22 MR. LANGLEY: So by day's end, whatever our burn is that  
23 day, there's no ability to dump either the excess or  
24 withdraw the short on that day. That hasn't changed.  
25 Other than the nomination cycle, we're still where we  
26 were 25 years ago.

1 MR. HILL: Yeah. But basically by three or four -- like  
2 earlier in the morning, you're going to actually know  
3 what the weather forecast is or isn't, and what your  
4 commercial needs are of your customers. Because  
5 that's what we're doing.

6 MR. LANGLEY: Sure. And do you know halfway through the  
7 day how your end of day storage is going -- or end of  
8 day demand is going to work?

9 MR. HILL: Yeah, pretty much. We've gotten a lot  
10 tighter, because we're having to manage on the  
11 upstream pipelines to Westcoast within a reasonable  
12 tolerance.

13 MR. LANGLEY: Okay.

14 MR. HILL: So we're held to a much more tighter  
15 tolerance today than ever before, and that has  
16 operational benefits for the overall system of Fortis,  
17 and/or Westcoast, which the shipper -- if Westcoast is  
18 operating in an efficient marketplace, that has  
19 benefits on the price of gas to all customers. Right?

20 MR. LANGLEY: Sure. But I would argue that with the  
21 exception of the more -- of the increased number of  
22 cycles to nominate gas supply, which in fact end 30  
23 percent into the day, and for many process type of  
24 operations, they don't know if they're going to have  
25 an upset. Ideally you'd have a cycle at the end of  
26 the day which said, "Okay, it turned out I was 20



1 tolerance 287 days, the worst of the people in this  
2 list, represents -- I think I've calculated it to 1 in  
3 200,000 or 0.0005 percent of your load. Is that  
4 accurate? Assuming that my numbers are correct, that  
5 this is a very small variance within Fortis's overall  
6 annual demand, and you're measuring this by annual  
7 demand, right? Correct? Small?

8 MR. TAYLOR: Yeah, and that's why if you see on a table  
9 we added the average demand that we talked about  
10 earlier, because it gives an indication of, you know,  
11 generally the size of each of these shipper agents.

12 MR. LANGLEY: Okay. Yeah.

13 MR. TAYLOR: So, yeah. I think the conclusion is that  
14 this is a small shipper agent with eight -- an average  
15 of eight GJs a day, and their annual volume in excess  
16 is relatively small, as you point out as well.

17 MR. LANGLEY: Okay, fair enough. And then to carry on  
18 with my analysis, then, I've looked at all of the guys  
19 that represent your above the 10 percent line, to look  
20 at the magnitude of both in aggregate and, you know,  
21 by marketer. And what I calculate is that everybody  
22 that's over the 10 percent line in aggregate works out  
23 to about 1.5 percent of your total load. So that the  
24 problem customers represent about 1.5 percent of your  
25 total load. And that's just math. It doesn't mean  
26 anything, I'm not trying to draw any conclusions from

1           that.

2                           But I would point out that in my days at  
3           the utility, we used to have a rule of thumb that if  
4           the core market forecast for temperature was out by  
5           one degree, you could get a typical variation of load  
6           of 30,000 GJs per day. Is that still accurate? So  
7           that if you forecast the load to be 8 degrees on a  
8           particular day, and it turns out to be 9, typically  
9           your load's going to go up by 30,000 GJs that day.

10 MR. HILL:    Yeah, but that is still --

11 MR. LANGLEY:  Is that --

12 MR. HILL:    -- a rule of thumb, but -- but, I'll qualify  
13           that, at the end of the day the resources that the  
14           core has are paid by, and are being executed to manage  
15           to that swing.

16 MR. LANGLEY:  Yeah. I agree. Okay, yeah, no problem.

17 MR. HILL:    Right? So --

18 MR. LANGLEY:  But again, materiality here. I mean, are  
19           we using too big a gun to kill a mosquito or something  
20           like that.

21 MR. TAYLOR:  Well, I think you might be conflating two  
22           different things in that analysis. This is annual  
23           volumes in excess.

24 MR. LANGLEY:  Yes?

25 MR. TAYLOR:  So that's over the entire year.

26 MR. LANGLEY:  Yes.

1 MR. TAYLOR: Of under delivery. It -- imbalance that  
2 Fortis has to balance is daily, so while, you know, in  
3 total over the year, you've quoted the one and a half  
4 percent, that doesn't represent the ups and downs that  
5 occur every day that they have to balance to.

6 MR. LANGLEY: Right, but then the -- if you want to take  
7 the -- well, okay, the volume in excess per day, then,  
8 we're talking about 1895, as an example, for shipper  
9 E, which on a regular day is going to be 500,000 to a  
10 million GJs. I mean, I don't know what the -- I could  
11 do the math on that too, but it's still a relatively  
12 small number.

13 MR. AMEN: It's just a average over the year though,  
14 right?

15 MR. LANGLEY: Yeah, okay. But -- okay. Understood.

16 MR. TAYLOR: I think the point is, you have to be careful  
17 when you talk about averages in a situation, because  
18 they're balancing on a daily basis. So it's -- the  
19 annual average doesn't represent the amount of effort  
20 or costs or resources utilized every single day across  
21 the 365 days.

22 MR. LANGLEY: Okay, fair enough. Again, though, if I add  
23 this up, and -- because what I want to go -- where I  
24 want to go with this is that I've identified that  
25 there are three shipper agents -- of the 1.5 percent  
26 of the problem, as I've calculated it here, one agent,

1 one shipper agent represents one-third of the problem.

2 **Proceeding Time: 11:14 a.m. T28**

3 Of the 1.5 percent, they represent .4. If you add up  
4 two more shipper agents, you get 87 percent of the  
5 problem contained with the three shipper agents. And  
6 those are shipper agents C, D, and E.

7 MR. TAYLOR: Again, these are averages, and I don't think  
8 that this table is utilized to identify the magnitude  
9 of the challenge, but rather to indicate that some  
10 shipper agents on average are better at keeping within  
11 a 10 percent threshold than others, hence where we put  
12 the red line on the table. So, it wasn't a  
13 representation of the magnitude of the daily imbalance  
14 concern that Fortis is trying to alleviate with their  
15 proposal, but rather an indication of how some  
16 shippers are seemingly are able to manage within 10  
17 percent compared to others.

18 MR. LANGLEY: Fair enough. But whatever yard stick  
19 you're using, it certainly suggests there are three  
20 shipper agents that are much worse than everybody  
21 else?

22 MR. TAYLOR: I don't think that analysis has been  
23 presented as part of this proposal.

24 MR. LANGLEY: Do you want to do the math? I don't  
25 understand why the numbers that are here -- I mean,  
26 you've got one -- shipper agent D has volume in excess

1 of minus 1788 on an annual demand -- or a daily demand  
2 of 1446. That certainly is much bigger on an  
3 aggregate basis than 6 on 8, right?

4 Because what I want Fortis to get to, is a  
5 comment they made earlier about the idea that it's not  
6 fair in their mind to just put a fee on total  
7 balancing charges. And yet I would argue that is  
8 exactly what they're doing by tightening up this 10  
9 percent tolerance, because three shipper agents either  
10 are gaming, are incompetent, or don't have the kind of  
11 customer group that can control their load. And I  
12 have never had Fortis come to me and say, if I am part  
13 of those three guys, what can we do to make you  
14 better? Or what is the problem here?

15 So, Fortis appears to want to just apply an  
16 overall solution to a problem that is in fact very  
17 specific.

18 MS. SALBACH: Yeah, so we discussed per GJ fee, you know,  
19 to be applied across all shipper agents to take into  
20 account the balancing that FEI was providing.  
21 However, we didn't think that this approach was  
22 reasonable, because some shipper agents today, below  
23 the red line, as demonstrated below the red line, are  
24 managing well today, and bearing the cost to do so.  
25 So, by charging them an additional fee based on  
26 throughput, this would be onerous.

1 MR. LANGLEY: Right.

2 MS. SALBACH: And unfair.

3 MR. LANGLEY: Okay.

4 MS. SALBACH: We believe.

5 MR. LANGLEY: And so why would this tightening of the  
6 tolerances for all customers be considered fair when  
7 it appears that only three customers are causing the  
8 majority of your problem?

9 MS. SALBACH: Well, we want to level the playing field,  
10 to put everybody on equal footing, under the same set  
11 of rules, to achieve fairness across all customers.

12 MR. LANGLEY: And this is your opinion on what is fair?

13 MS. SALBACH: This is our proposal, yes.

14 MR. LANGLEY: Okay, all right. So, just to finish off on  
15 this particular topic then, did Fortis look at the  
16 worst offenders in this group, and try and determine  
17 whether or not the imbalances that you guys are trying  
18 to prevent are the result of gaming, or the result of  
19 customer operations that -- where customers have  
20 limited control over their ability to balance on the  
21 system? Did you differentiate those in any way?

22 MS. SALBACH: Yeah, there is multiple reasons that  
23 marketers behave in the way that they do today. We  
24 haven't been able to specifically pinpoint or  
25 ascertain gaming, nor have we tried to pinpoint this  
26 in this application.

1 **Proceeding Time 11:19 a.m. T29**

2 We expect that it's occurring, but we can't  
3 say with certainty, but certainly levelling the  
4 playing field and putting everybody on the same set of  
5 rules will potentially address this concern. As you  
6 say, the gaming.

7 MR. LANGLEY: I would argue that it's also going to  
8 penalize your customers, who, due to the nature of the  
9 way they use gas, are going to be forced to pay  
10 incremental balancing charges, maybe because -- the  
11 rules have been changed because marketers are gaming  
12 the system; and that if you went after gaming of the  
13 customers or gaming by the shipper agents, you  
14 wouldn't have to charge the customers incremental  
15 balancing charges.

16 MS. SALBACH: Can you rephrase that with a more clear  
17 question, just so I understand?

18 MR. LANGLEY: Well, I'm just putting forth --

19 MS. SALBACH: Or is that a statement?

20 MR. LANGLEY: -- some perspective. Yeah, that that --  
21 and frank -- maybe the question would be, if customer  
22 service is your goal here, that maybe you'd want to  
23 investigate that further rather than just put in a  
24 blanket, this is the solution we've come up with.  
25 Okay, that's --

26 MR. BYSTROM: I think the witnesses would like a chance

1 to respond to you.

2 MR. LANGLEY: Oh sure, yeah.

3 MR. BYSTROM: They're just going to confer and get back  
4 to you on that.

5 MR. LANGLEY: Right now or later?

6 MR. BYSTROM: Yeah, right now.

7 MR. LANGLEY: Okay.

8 MR. HILL: Jim, just to answer your question there,  
9 basically we do believe the approach that we've put is  
10 reasonable given a couple of things. One, we have  
11 existing marketers, shipper agents operating within  
12 that tolerance. So they're bearing the costs  
13 somewhere to manage, right?

14 MR. LANGLEY: Mm-hmm.

15 MR. HILL: Commercially they're buying the gas. They've  
16 spent the time and effort on resources to forecast  
17 loads and deal with their customers on a timely basis.  
18 So they bear the costs already. So we didn't want to  
19 charge a fee, back to Stephanie's, to everybody.

20 MR. LANGLEY: Yeah.

21 MR. HILL: But we also have the tiered approach. From  
22 zero to ten there are no costs.

23 MR. LANGLEY: Yeah. Yeah. But again, Shawn, Mr. Hill, I  
24 think that it's fair to say, you know, that you know  
25 your customer base, you know that there are certain  
26 kinds of customers out there that are typically dual

1 fuel customers, that are large users of natural gas,  
2 and when they do fail of their primary fuel they swing  
3 wildly on their natural gas. Now, sure, half the time  
4 that impacts the system. Half the time it probably  
5 helps your system. But somehow it appears Fortis just  
6 wants to say, well, we're looking at the -- only in  
7 isolation and only on the aggregate swings that you  
8 have.

9 Now, I agree that Fortis should try and  
10 prevent gaming, but I am not yet convinced that the  
11 swings that customers have due to the nature of their  
12 operations negatively impacts the core market to the  
13 extent that Fortis apparently believes that it does.

14 MR. HILL: Well, it does negatively impact because  
15 there's no cost recovery for the swing.

16 MR. LANGLEY: Well, if it's greater than 20 percent,  
17 Shawn, there's \$1.10.

18 MR. HILL: Yeah, but from zero to 20 there's nothing. So  
19 you're saying that --

20 MR. LANGLEY: Is it a problem that -- zero to 20 is a  
21 problem.

22 MR. HILL: It's not necessarily a physical problem. It's  
23 about cost allocation and recoveries. Right?

24 MR. LANGLEY: Yeah.

25 MR. HILL: So there's evidence on the record that it's --  
26 I think, one IR that's around \$1.6 million of variable

1 cost recoveries that would go back into the midstream  
2 if the behaviour stays the same -- goes to this 10  
3 percent, right?

4 MR. LANGLEY: Okay.

5 MR. HILL: So it's not about -- obviously physically  
6 we've been able to manage for 20 years. Obviously,  
7 right?

8 MR. LANGLEY: Yeah.

9 MR. HILL: But it's about cost allocation and cost  
10 recovery.

11 MR. LANGLEY: Okay.

12 MR. HILL: And is that fair? Because at the end of the  
13 day right now, the balancing provisions for the  
14 transport customers, they pay zero to 20 percent for  
15 balancing. And who's balancing all the assets with  
16 that? That's the customers that are paying the  
17 underlying midstream resources.

18 MR. LANGLEY: Sorry, Shawn, I need to back up. You said  
19 what, 25 percent or 25 cents? What was --

20 MR. HILL: It was zero to 20 percent of the -- the  
21 transport customers are paying zero for that service,  
22 if you will, today.

23 MR. LANGLEY: Right. But again --

24 MR. HILL: So how is that commercially fair to the sales  
25 customers?

26 MR. LANGLEY: Arguably because when they are over 20



1           that's what I wanted to add there.

2 MR. LANGLEY:    Okay.  And I guess in answer to that, I  
3           think I do support what Mr. Bursey had said earlier,  
4           that by tying that tolerance to 10 percent  
5           directionally, now that we know that, you know, we  
6           can't -- we don't have up to 20 percent for free, we  
7           are going to tend to order more gas on the day to  
8           avoid that 10 percent charge, particularly if the  
9           daily gas volatility is less than the 25 cent charge  
10          that you're going to have.  So our inventories are  
11          going to go up, and we're going to have more  
12          discussion with you, Stephanie, on how to get the gas  
13          back off the system again.  Because we are  
14          consistently motivated to over order onto the system,  
15          as daily demand -- daily balance customers.

16                        So do you agree that that may be a natural  
17          result?

18 MS. SALBACH:    Well, so, I think generally we already  
19          talked about that with Mr. Bursey in the sense that,  
20          you know, we have shipper agents managing within the  
21          10 percent today, and managing overall inventory  
22          levels within the two to three days.

23 MR. LANGLEY:    Yeah.

24 MS. SALBACH:    So we know it's being done today.

25 MR. LANGLEY:    Yeah.

26 MS. SALBACH:    And we expect the same moving forward, if

1           these proposals are accepted.

2   MR. LANGLEY:    Right.

3   MS. SALBACH:    And if you or any of the other shipper  
4           agents deliver excess gas onto the system, they're --  
5           you know, yes, you'll be in contact with me, or I'll  
6           be in contact with you, to manage -- to incent you to  
7           manage that.

8   MR. LANGLEY:    Yeah.

9   MS. SALBACH:    To ask you to manage better.

10  MR. LANGLEY:    Yeah, yeah.

11  MS. SALBACH:    And of course there's imbalance return.

12  MR. LANGLEY:    Absolutely.

13  MS. SALBACH:    To draw from that banked inventory, if  
14           that's what your tendency will be, going forward.

15  MR. LANGLEY:    Right. Right. Okay.

16                   I guess the one thing -- I'll just finish  
17           this one with -- or this particular line of  
18           discussion. With your comment that there are agents  
19           that are able to manage within the 10 percent  
20           tolerance, would you agree that there are certain  
21           customer groups, due to the nature of their load,  
22           facilitate being able to nominate within a 10 percent  
23           window much, much easier than with other customer  
24           groups? Correct?

25  MS. SALBACH:    No. My answer is no. We looked at those  
26           customer agents -- those customers, within -- that are

1 managed by those shipper agents, that are under the  
2 red line, and they are varying types of rate  
3 schedules. So they have different load profiles.  
4 Some volatile, some steady. So they have a mix of  
5 customers that they manage, and are doing so within  
6 the 10 percent tolerance.

7 MR. LANGLEY: Can you comment how many kraft pulp mills  
8 are below that line versus how many are above that  
9 line?

10 MS. SALBACH: I don't have that information at hand.

11 MR. LANGLEY: Okay. It might be interesting for you guys  
12 to look at that, because I think you'd probably find a  
13 correlation between who's above that and who's below  
14 that. And that's not because they're gaming the  
15 system, it's the nature of their operations.

16 MR. HILL: Yeah, but Jim, don't forget that the tariff  
17 allows the customers to pool.

18 MR. LANGLEY: Yes.

19 MR. HILL: So it's not just about the specific pulp mill,  
20 or load that you're talking about. It's an aggregate.  
21 So when -- so we have a lot of customers that  
22 marketers pool their customers together. That allows  
23 them overall to offset -- one has an upset, one has an  
24 underset, and in total, what's the total? Right?

25 MR. LANGLEY: Right.

26 MR. HILL: So your pulp mill example is imbedded in some

1 customer groups in total that the marketer is managing  
2 to in total. So the pooling concept --

3 **Proceeding Time: 11:29 a.m. T31**

4 MR. LANGLEY: That's what I'm saying, Shawn, it would  
5 just be interesting to see, looking at that line, just  
6 find out where those kraft mills are, and is there a  
7 greater preponderance of kraft mills above the line,  
8 versus below the line. Because I would suggest that  
9 that is indicative of the fact that pulp mills are  
10 tougher to forecast than a bakery.

11 MR. HILL: But at the end of the day, the marketer is  
12 managing in a pool.

13 MR. LANGLEY: That's irrelevant to the customer, Shawn,  
14 right? Some guys have volatile loads, some don't.

15 MR. HILL: Yeah, but Jim, just based on experience,  
16 basically I've had experience where if a mill has an  
17 upset in the day, commercially what should he be  
18 doing?

19 MR. LANGLEY: He should do whatever he can to balance  
20 their load.

21 MR. HILL: He should be phoning his shipper agent, who is  
22 in charge of managing his load, and making commercial  
23 arrangements to find gas on a re-nom.

24 MR. LANGLEY: Absolutely.

25 MR. HILL: Absolutely.

26 MR. LANGLEY: But there are limited opportunities to do

1           that. As your own study shows.

2 MR. HILL:     But Jim --

3 MR. LANGLEY:  There is not an intra-day market, as quoted  
4           by Black & Veatch --

5 MR. HILL:     But that's a commercial decision that the  
6           customer and the marketer have put that business in.

7 MR. LANGLEY:  Well no, Shawn, we have to work within the  
8           market that exists in --

9 MR. HILL:     We're part of the market too.

10 THE CHAIRPERSON:  You know what, we are not asking  
11           questions and giving answers, it sounds like we are  
12           arguing.

13 MR. LANGLEY:  Okay. All right. Can I then ask -- sorry,  
14           about a slide in BCUC IR No. 1, page 236, where the  
15           Utilities Commission requested that Fortis identify  
16           the 10 greatest days of difference between supply and  
17           demand, I guess in 2015, or that's what Fortis chose  
18           to supply, okay? If you can remember what it is.

19                     I just want to point out that of the 10  
20           days identified, fully four of them were days that  
21           Fortis had customers under curtailment, so that the  
22           risk of being short on that day was a higher of the  
23           Sumas -- what is it, daily one and a half price, or  
24           \$20 per GJ, going up to the demand charges on the  
25           order of \$125 per GJ if you got caught for three days,  
26           something like that? There are stiff penalties for

1           being short on those days, correct?

2 MS. SALBACH:    Yeah, so none of -- our application doesn't

3           reflect a change in the UOR charge that you are

4           referencing.

5 MR. LANGLEY:    No, no, yeah. I know, I'm just trying to

6           show that of the 10 days that you've cited, a good

7           proportion of them, in my opinion at least, driven by

8           direction from the utility that it was a curtailment

9           day, and you guys said "Matt," you know, "you cannot

10          draft our system at the risk of \$20 and higher

11          charges." So what would you expect the marketing

12          community to do? We over delivered, fair?

13 MS. SALBACH:    But by how much you over deliver, you know?

14 MR. LANGLEY:    Correct.

15 MS. SALBACH:    We would expect, you know, we would expect

16          you to, hopefully on behalf of your customers, deliver

17          a sufficient amount so your customers don't incur UOR

18          charges.

19 MR. LANGLEY:    Yes.

20 MS. SALBACH:    But we don't, we don't expect that you will

21          over deliver excessively, because you will bear the

22          costs --

23 MR. LANGLEY:    Sure, and we do that.

24 MS. SALBACH:    -- to buy the gas that day to do so.

25 MR. LANGLEY:    Yeah, and we make that decision every day

26          based on what the day price is and what the risks of



1           that were delivered, if you take the averages, amount  
2           to about 70,000 GJs a day for those four days. But  
3           that's just math. Agreed? If my math is correct, do  
4           you agree?

5 MR. HILL:    Yeah, so, Jim, I guess -- the numbers are the  
6           numbers there. But at the end of the day we would  
7           ask, like, where are those costs flowing through?  
8           Because they're not flowing through to the utility.  
9           At the end of the day, the customer -- the shipper  
10          agent has bought too much gas, potentially at a high  
11          price market.

12 MR. LANGLEY:   Mm-hmm.

13 MR. HILL:    And where are those costs flowing through to?  
14           His customer, probably. So you'd have to ask yourself  
15           that, why you guys are buying so much gas on those  
16           curtailment dates.

17 MR. LANGLEY:   Well, I can give you the answer to that,  
18           it's because we don't want to pay \$20 to the utility.

19 MR. HILL:    Yeah. Well, that's -- but that's the rules of  
20           the tariff. At the end of the day, the Sumas  
21           marketplace is a volatile place, and Ron can attest to  
22           that ultimately if you don't have penalties and  
23           charges in place, the lowest price penalty charge will  
24           be the one that's short gas.

25 MR. LANGLEY:   Right. Okay, but --

26 MR. HILL:    Right? So --

1 MR. LANGLEY: Perhaps in answer -- if, you know, swings  
2 on your system are a problem, and four of the top ten  
3 days were driven by curtailments on the system,  
4 perhaps Fortis should be looking at their penalty  
5 rates and saying, "Maybe we're providing too great a  
6 disincentive, such that the market community across  
7 the board packs the hell out of our system and causes  
8 us problems." Perhaps?

9 MR. HILL: I don't believe there was any questions from  
10 you guys in this proceeding on that matter.

11 MR. LANGLEY: Okay, well, I guess I'm pointing it out  
12 now. Okay?

13 MR. HILL: Well, after two rounds of IRs and workshops  
14 and things like that, we're just hearing about it now?

15 MR. LANGLEY: Yes.

16 MR. HILL: Yeah.

17 MR. TAYLOR: Can you -- was that a question? I think  
18 there was a question there.

19 MR. LANGLEY: Well, I guess I just wanted to make sure  
20 that Fortis saw the same factors. I mean, the BCUC  
21 asked the question about, "Give us your worst ten  
22 days." Presumably citing, well, you know, what is the  
23 magnitude we're talking about here, you know. What's  
24 the background?

25 And what I'm pointing out is, the  
26 background for 40 percent of those days was Fortis.

1 MR. HILL: So, Jim, you're talking about a peak day, or  
2 curtailment costs of reducing UOR charges.

3 MR. LANGLEY: Yeah.

4 MR. HILL: Our proposals aren't talking about changing  
5 any of that. We're talking about changing tolerances  
6 on a daily basis to which, we, Fortis, are managing  
7 our system as a whole, to balance to our upstream  
8 pipelines.

9 MR. LANGLEY: Okay.

10 MR. HILL: And it's a service on a yearly basis.

11 MR. LANGLEY: Yeah.

12 MR. HILL: Versus something that you're looking at on a  
13 peak day analysis.

14 MR. LANGLEY: Right.

15 MR. HILL: The peak day analysis benefit that you are  
16 implying here?

17 MR. LANGLEY: Yeah.

18 MR. HILL: We can't rely on the over deliveries of the  
19 marketer on a peak day.

20 MR. LANGLEY: Yeah.

21 MR. HILL: So we can't contract or assume that we're  
22 going to get resources from them.

23 MR. LANGLEY: Okay.

24 MR. HILL: So from a cost perspective, the midstream  
25 isn't buying less resources in the open market because  
26 we're assuming that we're going to get something from

1 the marketers there.

2 MR. LANGLEY: Okay.

3 MR. HILL: So I don't know --

4 MR. LANGLEY: Yeah.

5 MR. HILL: Our proposals are on a yearly basis, to manage  
6 on a daily basis.

7 MR. LANGLEY: Yeah.

8 MR. HILL: You're talking about something that's on a  
9 peak day analysis for --

10 MR. LANGLEY: Yeah.

11 MR. HILL: It has -- and they're kind of totally  
12 unrelated.

13 **Proceeding Time: 11:38 a.m. T33**

14 MR. LANGLEY: Okay. You see them as unrelated, and I  
15 appreciate that you kind of went down the path that I  
16 wanted to go down. Because I do see them as related,  
17 because it seems to me that Fortis is looking at this  
18 balancing issue as strictly a cost to the core market,  
19 and to the utility, as opposed to seeing the benefit  
20 of the transportation imbalances, and when they help  
21 you. And I would argue that this is precisely a  
22 perfect example of when the transport customers are  
23 helping you, because to the extent they are over  
24 delivering to you, 70,000 GJs a day on the peak days  
25 of the year, you guys are able to retain your storage  
26 resources, and your peaking gas contracts. Because

1 despite the fact that you can say that you can't rely  
2 on them on any given day, you have over 20 years of  
3 data, which I am going to guess that a good  
4 statistician could go through those 20 years and say  
5 there is a 98 percent likelihood that these guys are  
6 going to leave on this much gas during the day. And  
7 if that doesn't influence how you order your gas, how  
8 you husband your resources, I think that you should  
9 look at how you are doing that.

10 Secondly, to the extent that on a -- these  
11 cold periods typically happen, not just one day, but  
12 two, three, four, five, how many days there are. So,  
13 to the extent that we've packed the system on one day,  
14 that is gas on your pipeline that you get to use to  
15 serve load the next day, despite the fact that on many  
16 of these days, the core market might be short on those  
17 days that these guys are long, and you guys get to use  
18 our gas to serve peak load. Is that wrong?

19 THE CHAIRPERSON: Mr. Langley, is there a question?

20 MR. LANGLEY: Is my statement wrong? Is there no benefit  
21 to the core market of the transportation customers  
22 leaving gas on the system during a peak day?

23 MR. HILL: No.

24 MR. LANGLEY: Okay. I guess that's the end of my  
25 questions. Thanks.

26 MR. DIXON: Tom Dixon, Access Gas Services. A few

1 questions.

2 Can Fortis tell us when it was decided that  
3 shipper agents were allowed to have two groups at one  
4 delivery point on the system?

5 MS. SALBACH: I am unable to say when exactly that  
6 decision was made. Since, as I referenced in my  
7 slides, you know, daily and monthly balancing  
8 provisions were approved very early on --

9 MR. DIXON: Was that the intent of the tariff as written?  
10 To have the shipper agent be able to have two groups  
11 on the system?

12 MS. SALBACH: Well, the tariffs allow for pooling. The  
13 tariffs don't specify two groups, or three groups, or  
14 four groups at a given location. I believe that that  
15 is something that is evolved as a business practice  
16 over time.

17 MR. DIXON: So if Fortis maintained it so that shipper  
18 agents that have daily customers have a daily group,  
19 would -- when we look at slide on page 22, if you  
20 don't mind. So, all the shipper agents above the line  
21 that have a daily and monthly group, are over  
22 nominating their daily group, and under nominating the  
23 monthly group. So, they're effectively a monthly  
24 balanced customer. As an entire entity, would you  
25 agree with that?

26 MS. SALBACH: Well, I'm not sure I would agree with that.



1           wouldn't that solve the bulk of this problem?

2 MS. SALBACH:   Well, we -- sorry, yeah.

3                       Well, we have, as you know, Rate 22s must  
4           be daily balanced, today. And shipper agents have  
5           pooled other customers under different rate schedules  
6           that have monthly balancing provisions with that rate  
7           22 customer, as in, likely, the case of all those --  
8           some of those below the red line. And so effectively  
9           all of them have adopted daily balancing provisions by  
10          way of pooling with a mandated, or a must daily  
11          balance kind of --

12 MR. DIXON:    But all those shipper agents above -- all the  
13           ones that have a D and an M, they have the choice to  
14           over deliver to a monthly group, and they can short --  
15           sorry. Over deliver to a daily group and short a  
16           monthly group, correct? And then transfer inventory.

17                       So I guess my question is, is Fortis  
18           complicit in allowing the imbalances to get as big as  
19           they've gotten, by allowing customers to have two  
20           shipper groups at a single delivery point?

21 MR. BYSTROM:   We're getting into the problem here of  
22           multiple questions. So --

23 MR. DIXON:    Sorry.

24 MR. BYSTROM:   You asked one, and then you started another  
25           one.

26 MR. DIXON:    Yeah, yeah.

1 MR. BYSTROM: It's just very confusing for the witnesses.  
2 So if you could just start one at a time, and I think  
3 you'll get clearer answers.

4 MS. SALBACH: So, as I have indicated, we do look net  
5 between the two groups. If a shipper agent has a  
6 daily and a monthly and, as you say, if that shipper  
7 agent under the latitude of the provisions that we  
8 have today over delivers and under delivers, as I've  
9 mentioned, we look at the overall inventory relative  
10 to the aggregate demand on a net basis, and we request  
11 that shipper agents manage within -- in aggregate,  
12 within the two to three day pack draft level.

13 MR. DIXON: But if all of those customer groups, or all  
14 of those shipper agents that have a D and an M beside  
15 them, just had a D, would that -- would they not have  
16 a greater incentive to push below the line, under the  
17 current practice?

18 MS. SALBACH: I think yes. Yes.

19 MR. DIXON: So, you know, I guess -- why not just enforce  
20 the spirit of the tariff that is in existence today?

21 MS. SALBACH: I think that our proposal is essentially --  
22 you know, is reasonable in the sense that it's going  
23 to remove potentially, if it's proved, the ability for  
24 monthly groups to draft without penalty, or without an  
25 applied tolerance.

26 So as you sort of stated earlier, when

1 exclusive daily balancing, if it were to be imposed,  
2 you know, that ability to draft in monthly balancing  
3 provisions would go away.

4 **Proceeding Time: 11:47 a.m. T35**

5 MR. DIXON: I understand that, but wouldn't this problem  
6 that we're talking about, in terms of on paper, what  
7 we're showing today, be far less if we just enforced  
8 the rules, or the spirit of what was set in the 90s?  
9 In that a shipper agent, that has a daily customer,  
10 balances daily?

11 MS. SALBACH: Well, that is what we're moving forward  
12 with today, or we are proposing today to balance on a  
13 daily basis. And the dailies do that today. It's  
14 just that the spirit of the tariff -- as you say, to  
15 better incent the spirit of the tariff, we feel that  
16 daily balancing exclusively is necessary at this time.

17 MR. DIXON: So then my next question would be, by  
18 changing the balancing rules, are we not overshooting?  
19 Are we not -- you know, I guess my point is, if a  
20 daily balanced customer, or a shipper agent with a  
21 daily balanced customer was in fact daily balanced,  
22 which they're really not today, you know, we had a  
23 customer, they balanced a customer for a period, and  
24 we would just over deliver to that. And then we could  
25 do whatever we wanted in our monthly group.

26 So, I guess my -- and I am not opposed to

1 moving to daily balancing, that's not what I'm saying.  
2 I'm just pointing out that by moving to daily  
3 balancing, you are going to already push most of these  
4 marketers down below the line. Why are we stepping  
5 further with penalties?

6 MR. HILL: Because there's no penal- -- so we would agree  
7 that going to all daily is going to be one step,  
8 right? And we all agree that that's industry  
9 practice, and where Fortis is adhering to daily  
10 balancing. And we've layered on another change to go  
11 from 20 percent down to 10 before you bear penalties.  
12 But there is no fee from zero to 10 percent.

13 MR. DIXON: Well, you've said that a couple times. So,  
14 the fee in that zero to 10 percent range, is forcing  
15 us to buy Sumas gas daily from Fortis, correct?

16 MR. HILL: Well, I don't know who you're buying your gas  
17 from.

18 MR. DIXON: No, if I am short in that zero to 10, under  
19 the new proposal, or under zero to 20 in the existing  
20 proposal, I am forced to buy that gas on the day from  
21 Fortis, correct?

22 MS. SALBACH: Well, you're not forced. If you've under-  
23 delivered, then we will balance.

24 MR. DIXON: If I've under-delivered, and I'm within the  
25 10 percent, I have to buy gas from Fortis, correct?

26 MS. SALBACH: If you under-deliver on a day, and you have

1       your inventories go to zero, so you have no inventory  
2       on our system, and you under-deliver on that day, then  
3       yes, you will incur balancing gas at the Sumas gas  
4       daily price.

5                    But getting back to your point earlier, the  
6       incent -- the intent of the tariff, you know, is your  
7       obligation to deliver, based on best estimates you  
8       feel your group is going to consume on any given day.

9   MR. DIXON:     But I just want to clarify, because Shawn  
10       said this a couple times, from zero to 10 there are no  
11       costs.

12   MR. HILL:     There is no incremental charge.  You either  
13       buy the gas in the open market, commercially to match  
14       your load --

15   MR. DIXON:     But the price point, you've determined the  
16       price of that gas, and at that price point, could it  
17       not be a penalty?  Like if I'm short at the interior,  
18       is gas daily not a penalty?

19   MS. SALBACH:   So, first of all, I think we're talking  
20       today about (a) daily balancing, and (b) the  
21       surcharge, and when that surcharge would kick in, and  
22       we're proposing at the 10 percent tolerance band a  
23       surcharge based on our cost-based analysis would kick  
24       in.

25                    So, the issue you're talking about is that  
26       the daily balancing gas charge at the Sumas gas daily

1 price, if a shipper under delivers on a day. Changes  
2 to the daily balancing gas charge is not included in  
3 this proposal today.

4 MR. DIXON: I think my point is that between zero and 10,  
5 or zero 20 under the existing, in many cases, forcing  
6 us to buy gas daily, when we are short, can be a  
7 penalty.

8 MS. SALBACH: That's an opinion.

9 MR. TAYLOR: It's the cost of doing business given the  
10 tariff and the rules. I don't think Fortis is  
11 intending to penalize anybody for balancing gas, I  
12 don't want to speak out of turn here, though.

13 MS. SALBACH: No.

14 MR. DIXON: But that's the reality, so that's what  
15 actually happens. But I can go back to that.

16 So then when we talk about -- I have some  
17 questions about the imbalance return. So, right now,  
18 the only shippers that need to nominate imbalance  
19 return are daily shippers.

20 **Proceeding Time 11:52 a.m. T36**

21 MS. SALBACH: Correct.

22 MR. DIXON: And so what does Fortis expect to happen when  
23 13 shippers are now requesting imbalance return? Is  
24 that going to decrease the amount of imbalance return  
25 available?

26 MS. SALBACH: Well, first of all, not all 13 shipper

1 agents necessarily do business at -- right now we  
2 offer imbalance return at Lower Mainland and the  
3 Interior region, and we offer 40,000 of imbalance  
4 return, the ability to draft up to 40,000 on the day  
5 at each of those locations. So, not all of the 13  
6 shipper agents is doing business on our system today  
7 participate in -- like we don't have 13 shipper agents  
8 at the Lower Mainland, for example, today. In any  
9 case.

10 So 40,000 will be available. And --

11 MR. DIXON: So if we're dividing that by ten, it means  
12 that there would be five available per shipper agent,  
13 versus currently there will be 10 plus available per  
14 shipper agent?

15 MS. SALBACH: So --

16 MR. DIXON: Just -- I'm stating that it's going to be  
17 harder for us to get back on balance return going  
18 forward too, right?

19 MS. SALBACH: So if you have more people requesting  
20 imbalance returns -- and depending on the request  
21 volume by each shipper agent, it's -- you know, there  
22 may be less available than there was before. It all  
23 depends on what volumes marketers or shipper agents are  
24 requesting, and what is available at that time.

25 MR. DIXON: Okay. I'll go to another topic. Has Black &  
26 Veatch investigated whether or not balancing

1 tolerances are against a prescribed LDC amount or the  
2 actual load that the customer is delivering? So are  
3 we balancing -- in other jurisdictions, are we  
4 balancing against a forecast, or are we balancing  
5 against the actual end-of-day load that occurs?

6 And the reason I ask is, I asked this of  
7 Elenchus in an IR, my first IR, and they responded  
8 that balancing tolerances in their proposal -- or in  
9 their market research, are based on actual  
10 consumption. And I know for a fact that that's  
11 incorrect. So I'm not sure if they're just ignorant  
12 to it, or they're misleading the panel. I don't know.

13 But there was no effort to investigate  
14 which. So, we operate in a number of jurisdictions.  
15 And in jurisdictions where we have a zero tolerance,  
16 typically the utility is telling us what to deliver.  
17 And in jurisdictions where we have a 5 percent  
18 tolerance, the utility is giving us a forecast of what  
19 to deliver. And when we -- when we have that 5  
20 percent, it's a plus or minus, and we are -- we're  
21 required to balance to that. But when actual data  
22 comes in and it's materially different, we don't pay  
23 penalties or incur charges, it just hits that  
24 imbalance account.

25 MR. BYSTROM: I hate to interrupt, but --

26 MR. DIXON: No, I know. So did we review whether or not

1           those -- that -- all that data that we have is against  
2           a forecast or actual data?

3 MR. AMEN:    We did not try and look behind the tolerance  
4           level to determine whether or not, in your example, it  
5           was based on the difference between what a utility may  
6           have told a marketer to bring in, and what they  
7           brought in, versus whether it was the actual  
8           consumption of their customer versus what the marketer  
9           nominated. Most of the instances that I'm familiar  
10          with, the nomination is coming from the marketer  
11          shipper agent. It's not being told by the utility how  
12          much to bring in.

13                           And then that's compared against what the  
14          customer actually used. I'm not saying that other  
15          mechanisms aren't out there.

16 MR. DIXON:   Well, I -- yeah. In -- I won't go into that.  
17          But, yeah, so we didn't investigate that.

18 MR. AMEN:    No.

19 MR. DIXON:   We don't have a listing of it.

20 MR. AMEN:    No.

21 MR. DIXON:   And I guess my point would be that, you know,  
22          we rely on a lot of data coming out of Fortis. so is  
23          Fortis willing to provide us with better data? Are  
24          they willing to provide us with a forecast for the  
25          day? So that we can -- we have a better forecast.

26                           And I think my company is a bit different.



1 correlated to what the degree days were there of those  
2 days. That is going to all public information. You  
3 can do your own algorithm to design what the forecast  
4 is. Because we're using Environment Canada as well,  
5 right?

6 MR. DIXON: Right, but --

7 MR. HILL: The information to produce a better forecast  
8 for you is well within the marketers own privy to  
9 figure out how to do that. You have their historical  
10 consumption, and you have their historical weather  
11 that drives that consumption. So, how can you not  
12 derive an algorithm to forecast based on what  
13 Environment Canada is telling you?

14 MR. DIXON: But I guess this goes back then to what has  
15 been talked about then, there is a massive incentive  
16 for us to always be over-delivering, because we don't  
17 -- you know, I can't query, and have 800 customers  
18 calling me.

19 MR. HILL: But I think we have evidence on the record  
20 here to show that there are customers that have  
21 customers similar to your type of customers managing  
22 within that 10 percent. So how are they doing it?  
23 They've beared the costs in their own internal  
24 operations to figure out how to forecast going forward  
25 what their customers are going to use.

26 MR. DIXON: Yeah, okay, I understand. So, from a data

1 perspective, we are not going to get access to any  
2 better data? The closest data we're going to have is  
3 going to be 48 hours old?

4 MR. HILL: Yeah.

5 MR. DIXON: Okay. I think that is all the questions I  
6 have.

7 MR. HILL: Thank you.

8 THE CHAIRPERSON: So, we will come back at 1 o'clock,  
9 thank you.

10 **(PROCEEDINGS ADJOURNED AT 11:58 P.M.)**

11 **(PROCEEDINGS RESUMED AT 1:00 P.M.)**

**T38/39**

12 THE CHAIRPERSON: Go ahead.

13 MR. MARTISKAINEN: I'm Jouni Martiskainen with Catalyst  
14 Paper. And I have just a couple of general questions  
15 around balancing, and then the focus of the questions  
16 are sort of follow-up questions for some  
17 clarification, based on IR No. 2 from Catalyst Paper.  
18 It's already been submitted with Q&A.

19 On the balancing charges, I think it was  
20 mentioned this morning that the total revenue would be  
21 approximately 1.6 million as an estimate. Is that  
22 correct?

23 MR. HILL: Correct.

24 MR. MARTISKAINEN: And then in the revenue to cost ratio  
25 work that's been done, this additional revenue has not  
26 been taken into account? Or has it been taken into

1 account?

2 MR. HILL: I don't -- I can't speak for that part of it,  
3 but the revenues that we've proposed, if there are  
4 fees coming from the charges here, they would be  
5 credited back to the midstream account, not --

6 MR. MARTISKAINEN: So just in general the question would  
7 be if you have a residential customers that are, let's  
8 say, 97, 96 percent revenue to cost ratio as is, and  
9 industrials that are above 100, if you take this into  
10 account, would then the ratios would move a little  
11 bit? One would go up, one would go down.

12 MR. BYSTROM: Interject here. Right. So this panel is a  
13 transportation service panel. They're in gas supply,  
14 they're not really here to --

15 MR. MARTISKAINEN: Okay.

16 MR. BYSTROM: They're not experts in the COSA and, as you  
17 know, like the last SRP that we had --

18 MR. MARTISKAINEN: Yeah.

19 MR. BYSTROM: -- that was the subject of that. So I'm --

20 MR. MARTISKAINEN: Okay.

21 MR. BYSTROM: I'm just trying to keep it in scope to  
22 section -- Chapter 10 of the application, which is the  
23 transportation service review.

24 MR. MARTISKAINEN: Yeah. So, under transportation  
25 service rate schedules, rate design, 22A, 22B are  
26 included, or just balancing?

1 MR. BYSTROM: It's really just the balancing. Those are  
2 our proposals in Chapter 10.

3 MR. MARTISKAINEN: Yeah. Okay.

4 MR. HILL: Just to clarify one thing, though. The fees  
5 are an estimate, on -- and if the marketers and  
6 shipper agents are managing their supply/demand  
7 balance below the 10 percent, there would be no  
8 revenues back into the midstream. So, the 1.6 is an  
9 estimate assuming that they don't modify or change  
10 their behaviour.

11 **Proceeding Time: 1:02 p.m. T40**

12 MR. MARTISKAINEN: Okay. So just for clarification then  
13 on the transportation service review, there's nothing  
14 else around rate design at this point in time?  
15 Postage stamp rate?

16 MR. BYSTROM: I'll just answer that one I guess.

17 MR. MARTISKAINEN: Yeah, okay.

18 MR. BYSTROM: Our proposals are in Chapter 10 of the  
19 application and you saw the presentation this morning.

20 MR. MARTISKAINEN: Yeah, okay. That's the only question  
21 I have. Thanks.

22 MR. KRESNYAK: Hi, Peter Kresnyak with Absolute Energy.  
23 The questions I have today are mostly around imbalance  
24 return. I know that Jim, Mr. Bursey, Tom, have made  
25 comments to this already, so I'll keep it brief.

26 I guess first of all, can you confirm --

1           can Fortis confirm how many shipper groups are  
2           currently exclusively daily balanced?

3 MS. SALBACH:     How many?

4 MR. KRESNYAK:    Yeah.

5 MS. SALBACH:     I would have to look, but I would say under  
6           ten.

7 MR. KRESNYAK:    And then the total number of shipper  
8           groups that are currently on your system, do you have  
9           that number?

10 MS. SALBACH:     Maybe eight. Sorry, sorry. I'm just  
11           trying to think of all of them in my head.

12 MR. KRESNYAK:    Okay, so, yeah, I thought it was a seven  
13           or eight, so.

14 MS. SALBACH:     Yeah, yeah.

15 MR. KRESNYAK:    And then the total number of shipper  
16           groups?

17 MS. SALBACH:     Total number of shipper groups monthly and  
18           daily?

19 MR. KRESNYAK:    Monthly and daily.

20 MR. HILL:        Twenty-three?

21 MS. SALBACH:     Sure, yeah. Well, that would be one, two,  
22           three four, five, six, seven, is that how you did it?

23 MR. HILL:        Yeah.

24 MS. SALBACH:     Yeah, 23. 25, let's say.

25 MR. KRESNYAK:    And so right now you look at a balance  
26           return, it's a resource that shippers are allowed to



1 MS. SALBACH: Now, 1,000 has become available, and that  
2 will now be allocated to the remaining four shippers.  
3 So each of them will get an additional 250 on top of  
4 their 2,000. So that's the determination of how  
5 imbalance return gets calculated today.

6 MR. KRESNYAK: And --

7 MS. SALBACH: And it will continue to be so going  
8 forward.

9 MR. KRESNYAK: Okay. So, is it fair to say, then, that  
10 it's based more on a request versus an actual volume  
11 that's under the shipper group, an aggregate volume?

12 MS. SALBACH: It's based on the number of people  
13 requesting, of the total amount that's available and,  
14 as I've described, the amount that's being requested,  
15 to -- as to the degree that I just explained.

16 MR. KRESNYAK: Right. Right, okay. So, we as a shipper  
17 agent manage all of our customers under daily  
18 balancing arrangement, in different areas on your  
19 system. And, you know, go back to comments that were  
20 made about, you know, will the effects of moving from  
21 monthly to daily create more inventory on your system.  
22 Just, you know, our comments, just to state our  
23 position as, you know, as a shipper agent that manages  
24 it on a daily basis. We do hold inventory. As you  
25 know, it's -- you know, we try to stay within the two  
26 to three day scope that Fortis, you know, requests.

1                   But the only way that we found, you know,  
2                   reasonable way to manage customer loads and customer  
3                   load volatility is to hold an inventory and we see  
4                   that as something that, you know, most shippers would  
5                   end up, you know, having to do, in order to manage  
6                   within the tolerances that you're proposing. So  
7                   that's not a question, that's more a statement.

8                   My other question is, Fortis has proposed  
9                   that the same balancing rules that you're looking at  
10                  for the Lower Mainland and Interior will be applied to  
11                  the Columbia Region. That's correct?

12 MS. SALBACH:    Correct.

13 MR. KRESNYAK:    You know, we manage a number of customers  
14                   in that region, and currently there are really no  
15                   balancing rules in place other than the shipper  
16                   attempting to trend towards a zero balance. Is that  
17                   also correct?

18 MS. SALBACH:    Well, Fortis holds the operational  
19                   balancing agreement with the pipeline.

20 MR. KRESNYAK:    Mm-hmm.

21 MS. SALBACH:    And so we manage that, and so you as a  
22                   shipper behind us also inadvertently benefit from our  
23                   management of that OBA.

24 MR. KRESNYAK:    So the question is, does Fortis have any  
25                   balancing rules around a shipper agent, or shipper  
26                   group, in the Columbia region as compared to, say, the

1 Lower Mainland or other regions? It's a different set  
2 of balancing rules is, I guess, what I'm asking.

3 MS. SALBACH: In place today, yes.

4 MR. KRESNYAK: Okay. So our concern is that, you know,  
5 you go from pretty much a very loose, you know, set of  
6 circumstances and in terms of how we balance customers  
7 in that region today, going then to what you're  
8 proposing which is, you know, a 10 percent tolerance,  
9 a daily balance, and set of rules. And we're worried  
10 that that's going to impact customers in that region  
11 significantly, because we're going from, you know, one  
12 -- you know, point A to almost point C or D, you know,  
13 in one leap. And you know, we've stated in our IRs,  
14 IR No. 2, that we have concerns around that.

15 So, I guess the question is, does Fortis  
16 see that as an issue including that region in, you  
17 know, the overall rate design for transportation?  
18 Being that those customers are currently managed under  
19 a very different set of rules as to other regions.

20 MS. SALBACH: We made our proposal, as you're aware. We  
21 are proposing that, you know, the same set of  
22 marketers, such as yourself, are managing daily  
23 balance groups at the Lower Mainland and Interior  
24 locations, and doing so reasonably well within the two  
25 to three day pack tolerance.

26 **Proceeding Time: 1:10 p.m. T42**

1                   We expect that these same shipper agents  
2                   that are managing well at those locations, can also do  
3                   the same at the Columbia region.

4 MR. KESNYAK:     Okay, that's all I have, thanks.

5 MR. ANDREWS:     Good morning -- or afternoon, excuse me.  
6                   I have just one topic and it's a fairly simple  
7                   question, I think. The imbalance charges as revenue,  
8                   how do they get treated under the PBR framework? Do  
9                   they -- are they a flow through?

10 MR. HILL:        All the charges, all the gas cost charges  
11                   including UOR, balancing, and all that, are all  
12                   credited back to the midstream, so they are not  
13                   subject to the PBR mechanism. They flow through gas  
14                   costs.

15 MR. ANDREWS:     Okay, thank you. That's my question.

16 MS. McCORDIC:    Mary McCordic from Shell Energy. Shawn  
17                   and Stephanie, is it correct that right now we have  
18                   40,000 available to us as inventory return at the  
19                   Lower Mainland?

20 MS. SALBACH:     Correct. That's right.

21 MS. McCORDIC:    Well, on a good day. What do we intend  
22                   to do, if anything if the joint venture becomes a Rate  
23                   22? Will that 40,000 number change and how will it be  
24                   allocated to the various joint venture members?

25 MS. SALBACH:     I believe our position would be that we  
26                   would maintain or continue to offer the 40,000 as we

1 do today, indifferent to whether the joint venture  
2 becomes a Rate 22 customer.

3 MS. McCORDIC: Really? So there would be -- right now  
4 they can -- there are no balancing provisions for  
5 them. There would be nothing additional set aside for  
6 that?

7 MS. SALBACH: Made available over and above the 40,000?

8 MS. McCORDIC: For the specific mills?

9 MS. SALBACH: The amount would remain the same. In joint  
10 venture, if they were participating as a Rate 22, they  
11 would have the ability to request imbalance return as  
12 other --

13 MS. McCORDIC: Yeah, it's really the amount I'm talking  
14 about.

15 MS. SALBACH: Oh, I see.

16 MS. McCORDIC: So there's no proposed change to that  
17 aggregate amount?

18 MS. SALBACH: Not at this time.

19 MS. McCORDIC: Okay. Thank you.

20 MS. MARR: Good afternoon. Cathy Marr, consultant with  
21 the Commission. My questions, first of all, are to  
22 deal with clarifying how oversupply or pack situations  
23 are handled, just to get a little bit more clarity on  
24 what's involved there. And I'm going to refer to an  
25 IR response to BCUC IR 85.1 and 86.1 in Exhibit B-21.  
26 And in this case, Fortis provided more detail



1           responded they wouldn't anticipate that, because there  
2           are cost implications to either the shipper agent or  
3           the customer to pay for the excess supply.

4                        So, my question at first is, would you  
5           agree that for these two shipper agents who took 60  
6           days to correct their imbalance, that cost  
7           implications wouldn't seem to be motivating them?

8 MS. SALBACH:    I mean, our approach in managing imbalances  
9           has remained the same throughout the years. We  
10           approach them and ask them to amend accordingly. In  
11           some cases we've adjusted their nomination, as it  
12           indicated in some of these IRs. But it is difficult  
13           to say, you know, with certainty why some shipper  
14           agents took longer to resolve their imbalances on our  
15           system, in spite of requests made by FEI, versus  
16           others that were more quick to respond.

17 MS. MARR:     Oh, so in some cases, that's not enough to  
18           motivate people to just leave it to economics?

19 MS. SALBACH:   I'm not sure what their basis, or  
20           rationale, economics or business decisions, or -- you  
21           know, their business, commercial arrangements,  
22           whatever they may be behind the scenes, would be to  
23           motivate them to listen to FEI's verbal request to  
24           make a change. It's hard to say.

25 MS. MARR:     Okay. Also in BCUC IR 86.1, Fortis notes that  
26           there are tools within the transportation rate

1 schedules that give Fortis the ability to deal with --  
2 to take action to manage these over supply situations,  
3 and you quote the existing Rate Schedule 23 tariff,  
4 section 8.1(a), where it talks about there will be  
5 consultation with the shipper regarding return of  
6 excess inventory at no charge to the shipper.

7 And so, what I wanted to explore is what  
8 that looks like. I'm thinking, and you can clarify  
9 it, I think what that looks like when you say  
10 "returning excess inventory", that there is maybe a  
11 telephone call or email from yourself, There is some  
12 sort of conversations that occur, requesting that they  
13 take action. And then if that is not sufficient, at  
14 some point under, for instance section 7.3 of the  
15 tariff, Fortis could actually change the nomination to  
16 the interconnecting pipeline. So, if they want to  
17 request 100 units off the Westcoast system, Fortis  
18 might reduce that to 80 to take the action on that  
19 behalf.

20 So, I was wondering if you could maybe  
21 describe what's the usual course, how long -- how  
22 often it happens that Fortis takes action, how much of  
23 it is more a conversation and communication from  
24 Fortis?

25 MS. SALBACH: So, definitely our approach has, with all  
26 marketers, has been a consultative type process. It's

1 never a drastic Fortis decides something needs to  
2 change. It's the marketer is responsible for managing  
3 their supply imbalances on our system, and we leave  
4 that to them. That's their onus, right?

5 So if they are incurring imbalances, under-  
6 delivering, over-delivering, there is emails, maybe on  
7 a weekly, possibly on a weekly basis, or bi-weekly  
8 basis, there is definitely oversight on our side to  
9 see how they're doing, and where they are trending.  
10 And then we reach out via email, or phone call or IM  
11 in some cases, to ask them to rectify the situation.

12 **Proceeding Time: 1:19 p.m. T44**

13 And then as you've indicated, in some  
14 instances over the least year or so we have taken  
15 steps to physically amend a nomination in the day in  
16 order to reduce supply receipts being brought on to  
17 the system because the shipper agent was already --  
18 had sufficient gas and had, after repeated requests,  
19 not amended their supply accordingly.

20 Now, we prefer not to do this and leave the  
21 onus on the marketer to manage this, but as you've  
22 pointed out it is a section in the tariff that we're  
23 allowed to exercise if after repeated requests the  
24 action is not happening and is ignored essentially.

25 MS. MARR: Okay. So while on the -- or sorry, the under-  
26 supply side there's tolerances and penalties, on the

1           over-supply side it's more moral suasion or  
2           conversion, discussion?

3 MS. SALBACH:   Yeah, discussion, conversation, and if need  
4           be a manual intervention on our part. But having said  
5           that, it's -- you know, there's five cycles. I could  
6           maybe change somebody's nomination at the timely  
7           cycle. The marketer could go back in the evening  
8           cycle and change it back. So it's not a perfect  
9           science either.

10 MS. MARR:    Okay. In the case of these two shipper agents  
11           that took over -- or took 60 days to correct it, was  
12           there a change in there or did you actually go in and  
13           change their nom?

14 MS. SALBACH:   Yes, we did.

15 MS. MARR:    Okay. My next one is the mechanics of the  
16           imbalance return. And in the application, Exhibit B-1  
17           on page 1027 you've got an example of what that looks  
18           like with the imbalance return. And you had it today  
19           as well on -- you -- sorry, it wasn't in --

20 MS. SALBACH:   I didn't include it today, sorry.

21 MS. MARR:    That you could have -- actually in there  
22           there's the nominated supply, the authorized supply,  
23           and then you can actually have an imbalance return  
24           amount that's authorized before you take into account  
25           what the deficit is that day that the penalty will be.

26 MS. SALBACH:   What -- sorry. Can you, Cathy, which --

1 MS. MARR: This is the table on -- the example on page  
2 1027 of the application.

3 MS. SALBACH: Okay. Yes, I'm with you.

4 MS. MARR: So you've got a line in there that's actually  
5 an imbalance return quantity that's authorized, and  
6 then that factors into what's the total authorized  
7 supply. So it becomes part of the supply together  
8 with what's coming off the interconnecting pipeline  
9 before you determine what the penalties would apply to  
10 the amount that's short, yeah, would factor into.

11 MS. SALBACH: That would factor into daily supply and  
12 would come -- would be factored into if any applicable  
13 charges may apply, whatever they may be.

14 MS. MARR: Right. Okay. So this, I think this ties back  
15 into an IR that Absolute had where they were wondering  
16 if you are having -- because the way that you dip into  
17 that excess inventory is, of course, by having supply  
18 that's less than your consumption on the day. And I  
19 believe that Absolute's question -- this is in Exhibit  
20 -- Absolute's IR 1, Exhibit B-6, they were concerned,  
21 it appeared, whether by doing so they might be outside  
22 of the ten percent tolerance of the same penalties.

23 So my question is, if you've actually got  
24 an agreed on imbalance return nomination that's been  
25 authorized, that would avoid that situation, is that  
26 correct? It wouldn't put you into the penalty because



1 MS. MARR: Okay. So they would have to place that nom,  
2 and they could do it on each of the nom cycles.

3 MS. SALBACH: Correct.

4 MS. MARR: Right. And an authorization comes back  
5 through the WIN system?

6 MS. SALBACH: Yes.

7 MS. MARR: Okay. My next question is whether the tariff  
8 actually reflects that process of nominating and  
9 authorizing and what was discussed earlier about how  
10 that's allocated. Is there anything in the tariff  
11 itself, either the current or the proposed tariff,  
12 that puts down in words what that nomination,  
13 authorization and allocation process looks like?

14 MS. SALBACH: Not to that degree of what we just talked  
15 about, what you were just talking about, about the  
16 process of nominating or requesting imbalance return,  
17 and Fortis authorizing, per se, in those words --

18 MS. MARR: Right.

19 MS. SALBACH: -- spelled out that way. But there is a  
20 section --

21 MS. GRAVEL: 9.4.

22 MS. SALBACH: -- 9.4, thank you, in the tariffs, that  
23 talk about the availability.

24 Are you able to read the section, Colleen?

25 MS. GRAVEL: So, yeah. So in the -- are you picking --  
26 I'm sorry.

1                   In the current Rate Schedule 22, and in all  
2                   the proposed rate schedules, because we're switching  
3                   to daily balancing, also it's continued Section 9.4 of  
4                   Rate Schedule 22. It's referred to as adjustments to  
5                   inventory, which is related to imbalance return. I  
6                   can read the section, if that's --

7 MS. SALBACH:    Okay.

8 MS. GRAVEL:     "When on any day the shipper delivers  
9                   more gas to the interconnection point than  
10                  its actual consumption, except for gas  
11                  purchased by FortisBC Energy under Section  
12                  22.8, shipper's gas, FortisBC Energy will  
13                  maintain an inventory account for the  
14                  shipper and will increase the balance in the  
15                  account by the excess amount received.  
16                  FortisBC Energy reserves the right to limit  
17                  gas quantities maintained in the shipper's  
18                  inventory account and will, from time to  
19                  time, at its discretion, and in consultation  
20                  with the shipper, return excess inventory at  
21                  no charge to the shipper. This will not  
22                  relieve the shipper from its obligation to  
23                  provide accurate nominations pursuant to  
24                  Section 8.1, requested quantity."

25 MS. MARR:      Okay. So, it's that -- words that refer to  
26                  agreeing on the imbalance return that differentiates

1           that from gas that's just excess supply delivered.

2 MS. GRAVEL:    Correct.

3 MS. MARR:      Okay.

4 MR. HILL:      I guess, Cathy, just to add -- I think what  
5           Stephanie alluded to about how that -- like, we have  
6           some business practices, if you will, that are not  
7           well understood by the shipper community and us about  
8           the 40,000 at the Interior and the Lower Mainland for  
9           imbalance return, and then how that's allocated.  
10          Yeah, the exact words are not in the -- as Colleen  
11          just read out, but we've put some business practices  
12          around how to administer that. Because -- so that  
13          everybody kind of understands how it works. And  
14          that's how we've evolved a little bit, trying to take  
15          what's the spirit of the tariff and putting some  
16          practical transparency to it.

17 MS. MARR:     Is there any thought to putting further words  
18           in the tariff to describe how that happens so it's  
19           clearer?

20 MR. HILL:     We haven't had any thoughts on that ourselves  
21           specifically. I can speak for ourselves, I think  
22           we've developed these practices with the marketers and  
23           things over years, and we haven't had a request to ask  
24           for that. But I'm --

25 MS. MARR:     Yeah. Okay.

26 MR. HILL:     Well, you know, it works two ways. I mean, we

1 can put all the rules in there, and then that's fine  
2 too. You know, so it's --

3 **Proceeding Time:1:28 p.m. T46**

4 MS. MARR: Yeah, okay. My next set of questions are to  
5 do with the costs and benefits of using the core  
6 resources to balance the system.

7 In response to BCUC IR 54.2.2, there's a  
8 table that specifies the resources that were used to  
9 balance on the 10 days in 2015 with the greatest  
10 absolute difference between the aggregate daily supply  
11 and aggregate daily demand for the transportation  
12 service. This was a table that was referred to by Jim  
13 Langley earlier.

14 The resources that are listed there on  
15 those days are typically Aiken Creek storage, Mist  
16 storage, Jackson Prairie storage, and Fortis's  
17 operational balancing agreement or OBA. Is that  
18 correct?

19 MR. HILL: That's correct, yes.

20 MS. MARR: So I wanted to discuss the OBA that Fortis  
21 has with Westcoast and also with Foothills B.C. Would  
22 you agree that it's not exclusively a core portfolio  
23 resource? This isn't something that's contracted as  
24 part of the stack of supply resources, and if you were  
25 a pipeline such as Westcoast connected to another  
26 pipeline such as Northwest Pipe, you don't need to

1           have core sales volumes to have an OBA between two  
2           pipes, is that correct?

3 MR. HILL:       That's correct. A better way maybe to  
4           describe the OBA is the physical -- or no, it's the  
5           paper management of the amount nominated and scheduled  
6           and actually taken at that -- where transfer of  
7           ownership occurs, which is common on big pipelines.  
8           Also between pipelines and utilities.

9                         So it's a common industry practice that  
10           there's imbalances between one physical asset and  
11           another one. And this is just a way to track GJs and  
12           who owes who at that specific meter or interconnect.

13 MS. MARR:      Okay. But that is the one resource that's  
14           not --

15 MR. HILL:      It's not a firm resource.

16 MS. MARR:      -- strictly a core resource.

17 MR. HILL:      It's not included in the annual contracting  
18           plan as a resource. You know, it's something that we  
19           work with Westcoast on a daily basis to trend to zero.  
20           A different -- you know, at different interconnecting  
21           points at multiple pipelines.

22                         But it's in our best interest as a system  
23           interconnecting with an upstream pipeline that we  
24           actually make sure that the efficient use of the  
25           system as a whole is that -- you know, if we draft  
26           that pipe, that puts the Westcoast facilities in some

1 -- you know, they've got to do some things physically  
2 on their side to manage that too. So it's in our  
3 best interest, along with all our customers' best  
4 interest to keep that imbalance as best we can.  
5 Because that gets reflected in the commercial price of  
6 gas, one of the factors.

7 MS. MARR: Right. Okay.

8 The next one I have is in response to BCUC  
9 IR 55.1 and this is further discussion about what  
10 Fortis does in cases of Pack. And the wording -- I'll  
11 just quote here:

12 "The rules in the tariff generally incent  
13 shipper agents holding daily balance groups  
14 to pack. For daily balanced customers  
15 drafting is not permitted and in cases where  
16 under-deliveries occur on the day, FEI  
17 balances the shipper agent's group by  
18 selling day gas."

19 And I was wondering if you could explain what that  
20 means when Fortis says "balances the shipper agent  
21 group by selling day gas"? In cases where there's  
22 under deliveries on the day? I guess I'm -- you  
23 know, is this gas that's contracted for by the core  
24 that's sold on the day?

25 What's confusing me is the idea that you  
26 would sell the gas in a situation of under supply.

1 Did you mean over supply, or is that a --

2 MS. SALBACH: No. So this is a situation where in  
3 aggregate between the supply, direct supply plus  
4 imbalance return authorized amount, and so there's  
5 your total supply and then there's your demand. So if  
6 you total supply is insufficient to meet demand, being  
7 a daily balanced group means you cannot go below a  
8 zero, or you can't trespass into a negative inventory  
9 level. Cumulatively, yes.

10 So if your inventory is at zero, and you  
11 have under-delivered on that day, then we will balance  
12 -- Fortis will balance, as listed here, with day gas  
13 to bring that account back into tolerance, or back up  
14 to zero.

15 MS. MARR: Okay, so it's selling day gas to the shipper  
16 agent, not selling the core's day gas balance.

17 MS. SALBACH: It's selling it to the shipper agent.

18 **Proceeding Time: 1:34 p.m. T47**

19 MS. MARR: Okay. Fair enough. So we've had a fair  
20 amount of discussion I think about what you do in  
21 those pack situations and whether that benefits the  
22 core or costs the core. And I think would it be fair  
23 to say really to sum it up, it's -- because it's not  
24 predictable, you're not able to use it as a resource,  
25 because of that difficulty in predicting it. So, it  
26 may in fact be a benefit on some days to the core, and

1 a cost to the core on some days, but because you can't  
2 predict it, you can't use it as a planning -- as  
3 resource for planning how to balance the system. Is  
4 that correct?

5 MS. SALBACH: That's fair. I mean the supply that is  
6 left on our system at any given day is not in our  
7 annual contracting plan, it's not in our supply  
8 portfolio, we don't rely on it, we don't expect it.  
9 We know sometimes it happens, but it is not  
10 predictable. It is banked gas, and we have to manage  
11 that excess gas at that time. And potentially, as  
12 we've reviewed, you know, may incur midstream  
13 resources to manage that excess supply at that time,  
14 so in which case I wouldn't call it a benefit to our  
15 system. I would, in this case, call it a cost  
16 potentially.

17 MS. MARR: But it could, in effect, be a benefit on that  
18 particular day, but one that you hadn't planned?

19 MS. SALBACH: It could, for sure.

20 MS. MARR: Okay, the next questions I have are about the  
21 balancing charge revenue. And this has to do with the  
22 excess --

23 MR. HILL: Just a second, Cathy.

24 MS. MARR: Oh, sorry.

25 MR. HILL: I would add to Stephanie's comment about the  
26 underlying -- like a lot of the assets that are in the

1 midstream portfolio are fixed cost assets. So, it's  
2 capacity storage and transportation. So, whether we  
3 use it or not, we are paying those fixed costs. And  
4 that's the majority for the costs. So, if we didn't  
5 have those fixed costs and assets to balance, there  
6 could be -- the issue here is driving the variable  
7 costs in and out of those fixed cost assets that we're  
8 trying to recover back to the midstream. We are not  
9 even asking for in our fee here, any contributions to  
10 those fixed costs.

11 So, you know, that is something to actually  
12 physically manage that on a daily basis, if we didn't  
13 have those physical assets, we'd have a different  
14 outcome, and a different pricing in the midstream.

15 MS. MARR: Fair enough. I understand the fixed cost  
16 aspect of it, but I think we've heard a number of  
17 people today ask about whether on certain days where  
18 you end up with more gas on your system and it's a  
19 cold day, that could end up benefiting the -- it might  
20 be a small benefit, but --

21 MR. HILL: So let's walk through that a bit. The fixed  
22 costs are there. So, now when we're actually planning  
23 for something on the core side, and they over deliver,  
24 we actually have to maybe shut down one of our  
25 resources that we've already got. So, and then we  
26 have to actually in turn return that gas back to the

1 counter party, the shipper agent at some later date.  
2 So, it is primarily the cost recovery that we've asked  
3 for, in the balancing as around the variable, to drive  
4 out and reduce a credit back to the midstream. It's  
5 the variable cost savings. And as Ron has pointed  
6 out, it is to reduce that variation daily from top to  
7 bottom. If we get it tighter, then overall, the  
8 variable cost would be lower.

9 MS. MARR: Okay.

10 MR. HILL: But it is not going to change the underlying  
11 fixed costs that we hold in the annual contracting  
12 plan, right?

13 MS. MARR: Mm-hmm.

14 MR. HILL: And as a utility, we are in a physical market  
15 place. So, we need to have those resources, that's  
16 not going to change what we need and how we operate  
17 that. But, there is some underlying offset or  
18 benefits to the transportation services, in my view,  
19 for having those fixed assets there. It's an  
20 auxiliary service, if you will, it's not its primary  
21 purpose, but they are there for a certain reason, to  
22 manage the core requirements, but there is an  
23 attributable service that is coming to those shippers.

24 **Proceeding Time 1:24 p.m. T45**

25 MS. MARR: Okay, thank you. The next question is on the  
26 balancing charge revenue, there was an estimate made.

1       This is in response to CEC's IR 1.56.1. This is the  
2       estimated potential revenue of 21.4 million,  
3       imbalancing charges that would have been collected in  
4       2015 if you assumed that these daily balancing rules  
5       had been in place at the time.

6               In response to a question by the BCUC in  
7       the second round of IRs, in 89.2, so this is in  
8       Exhibit B-21, Fortis provided a table showing the  
9       revenue that was -- balancing revenue that was  
10      collected for each year for the period from 2012 to  
11      2016. So this was balancing gas revenue collected.  
12      So it's an IR 2 response to BCUC at Table 89.2. And  
13      there is revenue there from the daily balance -- the  
14      charges that had come from daily balance customers as  
15      well as the monthly balance revenues.

16              So my question is, is this potential  
17      revenue estimate of 1.4 million incremental to this,  
18      or would it replace this revenue, to some extent, the  
19      monthly balancing charge portion of it?

20              Would you expect to have \$1.4 million on  
21      top of the revenue here that came in particular from  
22      the monthly balancing gas revenue?

23 MS. SALBACH:   Okay. Well, so, the table in the CEC IR  
24      56.1, right?

25 MS. MARR:      Well, that's where the estimate of the 1.4  
26      came from.

1 MS. SALBACH: Right. That's the estimate and that -- so  
2 that's incurring -- that's accounting for charges  
3 within the 10 to 20 percent range of 25 cents, right?  
4 As well as the above -- the above 20 percent rule in  
5 place today. So, \$1.10 and 30 cents in the summer.  
6 To bring us to the 1.4.

7 MS. MARR: Right. So if I understand that estimate  
8 correctly, that's assuming that everybody is on daily  
9 balancing?

10 MS. SALBACH: This was based on behaviour that -- in what  
11 year? 2015. The following table -- that could have  
12 been collected in 2015 under the balancing rules that  
13 we have in place today.

14 MS. MARR: So, but is it not for the monthly groups, if  
15 the monthly groups had been on -- maybe I'm not  
16 understanding that.

17 MS. SALBACH: No, no. This is -- sorry. Were you going  
18 to say something?

19 MR. HILL: Go ahead.

20 MS. MARR: So, okay. Maybe I'm misunderstanding that  
21 one.

22 MS. SALBACH: FEI calculated the potential charges that  
23 could have been collected in 2015 -- sorry, assuming  
24 all transportation groups were required to balance  
25 daily within a 10 percent tolerance.

26 MS. MARR: So that would include the monthly?

1 MS. SALBACH: It -- yes.

2 MS. MARR: Right. So when I look at the revenue that was  
3 collected in 2015, for instance, you would now not get  
4 the revenue that was the monthly balancing revenue.

5 MS. SALBACH: Yes.

6 MS. MARR: So this is not incremental to what you  
7 currently collected. And what's shown in that table?

8 MS. SALBACH: It's not incrementally collected, yes.

9 MS. MARR: That was the question. It's not incremental.

10 MS. SALBACH: Yeah. Right.

11 MS. MARR: Okay. So based on the information that is in  
12 that table provided in response to BCUC IR 89.2, there  
13 is a -- you can see there is a substantial drop in the  
14 balancing -- monthly balancing gas revenue that was  
15 collected. It was from the range of one million to a  
16 million and a half per year, and then that dropped to  
17 something in the order of four to 500,000.

18 Would you say that that was due to FEI's  
19 increased use of tools it already had in the tariff as  
20 encouraged by the Commission in the monthly gas  
21 balancing decision? Or is it some other factors such  
22 as weather?

23 MS. SALBACH: We would like to think that it's maybe a  
24 combination of greater consultation and with marketers  
25 managing monthly balance groups to manage more  
26 tightly, as well as the decision that encouraged FEI

1 to use the tools available to us today, in order to  
2 enforce more close, or tight -- tighter balancing  
3 tolerances.

4 MS. MARR: Okay. So it's a measure in some way of some  
5 increased vigilance in the outcome of that.

6 MS. SALBACH: Policing and discussion, and -- yes.

7 MR. HILL: But there can be other factors, Cathy, that  
8 we're not aware of too, right?

9 MS. MARR: Yes, right.

10 MR. HILL: Like, that's the marketer decision.

11 MS. MARR: Right. Okay. My next set of questions is  
12 with regard to the proposed tolerances and penalties  
13 that they only apply on the undersupply side.

14 **Proceeding Time: 144 p.m. T49**

15 And we've had a fair amount of discussion about that.  
16 They're one sided. And the monthly balancing price  
17 decision that came from the Commission on page 22, the  
18 Commission there directed Fortis to include in this  
19 rate design review of monthly balancing a discussion  
20 of the need for setting out unbalanced tolerances in  
21 the tariff whether these tolerances should apply to  
22 both positive and negative and include a review of the  
23 practices of other utilities in the region. And  
24 Fortis has done that and explained -- sorry. And  
25 explained why you have no proposed a tolerance.

26 Sorry, I'm just trying to find my thoughts

1       here.

2                       Sorry, so Fortis says in response to one of  
3       the IRs, IR 55.1 that Fortis requests shipper agents  
4       to balance their overall inventory levels to two to  
5       three days of pack to two to three days of draft  
6       inventory, and also further states the rules in the  
7       tariff generally incent shipper agents to hold daily  
8       balance groups to pack.

9                       So we've got this conflict between what the  
10       intent is, is to balance between two to three days of  
11       pack and two to three days of draft, and in the first  
12       page of the application Fortis says that they were  
13       trying to eliminate monthly balancing so you can get  
14       people to balance daily, consistent with what Fortis  
15       is required at the interconnects, which is both a plus  
16       positive and a pack and a draft. And yet the rules  
17       only apply to the drafting side as far as tolerances  
18       and penalties.

19                      And so what I wanted to, first of all,  
20       confirm that Fortis's current balancing tolerances and  
21       penalties, they only apply on the one side.

22                      So my question is, it's not consistent with  
23       what Fortis is required to do on the interconnecting  
24       pipes, and so I was wondering if you could explain  
25       what Fortis is required to do, not as an  
26       interconnecting pipe, but what's required as a shipper

1 on the Westcoast system as far as balancing? What are  
2 the tolerances and penalties? What do they look like?

3 MR. HILL: Okay, so as we talked a little bit about an  
4 OBA, operational balancing agreement, is really paper  
5 tracking of supply and demand at that physical meter.  
6 So we are interconnect with Westcoast and Foothills  
7 because our facilities interconnect with them. So  
8 there's a title transfer of gas between their facility  
9 and our facility and there's an OBA there. So that's  
10 fine.

11 But as a shipper on Westcoast or Foothills,  
12 like other industry participants, there are governing  
13 rules on how gas is nominated and scheduled and that's  
14 done on a daily basis. So if I hold firm service on  
15 Westcoast as a shipper, basically, and that was 10,000  
16 units of firm capacity, I either use that capacity on  
17 that day or I don't, and I'm paying for the use of  
18 that capacity regardless of whether I use it or not.

19 So does that explain the difference for you  
20 as a shipper?

21 MS. MARR: My question was: For shippers on Westcoast,  
22 how do the tolerances and penalties, firm balance  
23 management apply there?

24 MR. HILL: So there are -- as a shipper, they have pools  
25 at Westcoast and there's a pool at station 2 and  
26 you're allowed a somewhat tolerance there as a shipper

1 to draft and pack the system as total. But ultimately  
2 you still have to move the capacity on your firm  
3 service day in and day out.

4 **Proceeding Time: 1:48 p.m. T50**

5 So whether you have a pack or a draft at  
6 station 2 is kind of irrelevant if you can only move  
7 so much of gas down the system. Does that make sense?

8 MS. MARR: But they do have actual tolerances that are  
9 set out and penalties that are spelled out in the  
10 tariff that would apply?

11 MR. HILL: They have tolerances and can charge -- if  
12 you're one of the -- in hindsight, if you're out of  
13 balance and they want you to balance, they can charge  
14 you penalties. Yes, as a shipper.

15 MS. MARR: And is that fair to say that that has changed  
16 over the 20 years?

17 MR. HILL: Yeah, that's for sure has changed. Pipelines  
18 have tolerances and come up with commercial  
19 arrangements there to help manage their overall system  
20 line pack too. It's similar to the utility business  
21 in the sense that they're trying to maintain their  
22 inventories and the efficiencies of their line pack  
23 and how much gas is coming on and off their system.  
24 So they've commercially put tariffs or provisions in  
25 their tariff to hold people accountable to manage to  
26 their business. And that's an evolution on their side

1           that's gone on over the 20 years.

2                         But I would say the utilities have always  
3           had balancing provisions because they recognize that.  
4           But what the rules are, are somewhat different for  
5           each utility.

6 MS. MARR:       Right. And on those interconnecting pipes  
7           for shippers, the balancing provisions apply to both  
8           supply and draft?

9 MR. HILL:        Yeah.

10 MS. MARR:       Or pack and draft?

11 MR. HILL:        Yeah.

12 MS. MARR:       Yeah, and the same with --. In the work that  
13           Black & Veatch did, so in response to BCUC IR 59.3,  
14           Fortis states that Black & Veatch observed that they  
15           LDC balancing tolerances typically apply for both  
16           positive imbalances, packing, and negative imbalances  
17           or drafting, and it's in its review of the balancing  
18           provisions of more than 20 LDCs Black & Veatch did not  
19           note any that had a tolerance that applied only to the  
20           negative imbalance.

21                         And my question is, has Fortis looked at  
22           the extent to which having tolerance penalties that  
23           apply to both the positive and the negative side, to  
24           pack and draft, would allow Fortis to just simply rely  
25           on the economics of those tolerances rather than  
26           having the administrative overhead of having phone

1           calls and emails and so on? Did Fortis look at --  
2 MR. HILL:       So Cathy, I think when we looked at the  
3           proposals and what the industry practice was, and  
4           where our existing tariff was today, we saw us at one  
5           end of the pendulum versus where industry practices  
6           are, and we viewed our approach here in this rate  
7           design as moving us along the pendulum back to what  
8           industry practice is. And recognizing that we're  
9           making multiple changes here to a commercial  
10          marketplace that customers have become aware of and  
11          understand, so we didn't want to go right down to the  
12          other end of the pendulum without evolving and see how  
13          we go with these changes. And they have to be  
14          approved first and then see where we're at. Rather  
15          than going to something like -- that has a bandwidth  
16          on the upside and the downside. That's a big change  
17          on top of all the -- already the other changes that  
18          we're making.

19 MS. MARR:       Appreciate that, yeah. My point was, there  
20          is some cost to the overhead of having to manage  
21          through conversations and emails --

22 MR. HILL:        Yeah, for sure.

23 MS. MARR:        -- to keep people -- okay.

24 MR. HILL:        But I guess, Cathy, one thing that I would  
25          say that is positive on the cost side, over time  
26          technology and overhead and gas costs from a -- like

1 the overheads of the people that are managing this  
2 business are in the gas costs and, you know, over time  
3 the technology on how we nominate gas, the system of  
4 wins, all of this has commercially -- yeah, there's a  
5 system there now, where it might have been three or  
6 four or five people in the past grinding through a fax  
7 machine. So there has been some synergies over time,  
8 I would think, in helping us manage that through  
9 technology.

10 MS. MARR: Yes. No, I recall being on the other end of  
11 the fax machine years ago.

12 MR. HILL: And the paper jam.

13 MS. MARR: These next questions are for Black & Veatch  
14 and to do with that work that you've done looking at  
15 the tolerances that applied on these other pipelines.

16 **Proceeding Time 1:53 p.m. T51**

17 So the first one, it follows, in theory,  
18 are there any benefits to either the utility or the  
19 core customers of having a balancing tolerance that  
20 applies to a balance -- a positive imbalance, in Black  
21 & Veatch's view?

22 MR. AMEN: Would this apply to utilities that have  
23 symmetrical imbalance tolerances versus not? Or just  
24 in general, that a positive imbalance is somehow  
25 beneficial to the utility?

26 MS. MARR: Right. What are the -- are there benefits to

1           either the utility or the core customers? Can you  
2           describe what those benefits might be by having a  
3           symmetrical set of tolerances and penalties?  
4 MR. AMEN:   Well, I think there's two questions there.  
5 MS. MARR:   Okay.  
6 MR. AMEN:   The first one, I thought, correct me if I'm  
7           wrong, was, is there a benefit for a positive  
8           imbalance to the utility or its customers. And then I  
9           thought you said, is there a benefit to having it  
10          symmetrical? Am I wrong?  
11 MS. MARR:   Sorry. It's to having a positive imbalance,  
12          yes.  
13 MR. AMEN:   Yeah.  
14 MS. MARR:   Tolerance.  
15 MR. AMEN:   I don't believe that it's much of any benefit,  
16          because it's so unpredictable. The utility and its  
17          core customers --  
18 MR. TAYLOR:   Hold on, Ron. I think maybe we're still  
19          missing the question.  
20 MS. MARR:   Okay.  
21 MR. AMEN:   Maybe we are.  
22 MR. TAYLOR:   Can you repeat it?  
23 MS. MARR:   Okay. In theory, are there any benefits to  
24          either the utility or core customers of having a  
25          balancing tolerance that applies to a positive  
26          imbalance?

1 MR. AMEN: Oh, to a positive imbalance.

2 MR. TAYLOR: Yeah. She's saying the up -- you know, you  
3 have a charge on the up side.

4 MS. MARR: Yes.

5 MR. AMEN: Oh, I see.

6 MS. MARR: To a pack situation.

7 MR. AMEN: Yeah, I totally misunderstood your question,  
8 then.

9 Well, in terms of creating a narrow range  
10 both on the positive and negative side, it helps, I  
11 think, the utility because it has less of unknowns to  
12 its daily management of the system. Because it can be  
13 better able to predict, based on if it believes that  
14 the tolerances and the charges for being out of  
15 balance are enough to get the behaviour of the  
16 customers, or its shipper agents, to operate within  
17 that range. So, there's less unknowns, in my opinion.

18 MS. MARR: Okay. And for the customers themselves, is  
19 there any benefit to having a --

20 MR. AMEN: For the core? I think potentially there are  
21 benefits, in that planning for their supply deliveries  
22 becomes a little more measurable, a little more kind  
23 of certain for the utility. So it doesn't create a  
24 potential for costs because of the fact that it's more  
25 difficult to plan.

26 MS. MARR: Okay. And for transportational service

1 customers?

2 MR. AMEN: Well, it may provide them with less  
3 flexibility, because they wouldn't be able to bring on  
4 more gas at times when they felt it was in their  
5 economic interest to do so.

6 MS. MARR: Okay.

7 MR. AMEN: It all depends on what their anticipation,  
8 seems to me, is for when is it most advantageous to  
9 leave gas on the system? When prices are low, now,  
10 and maybe an expectation it may be higher later. So  
11 I'll pack now and then draw on the utilities gas  
12 later, when they've got to give it back.

13 MS. MARR: I think you've answered my second -- next  
14 question. And then do you have any explanation for  
15 why all of the 20 utilities you looked at had both  
16 tolerances for pack and draft, for positive and  
17 negative, and why there are no other examples of  
18 utilities that don't have symmetrical?

19 **Proceeding Time: 1:57 p.m. T52**

20 MR. AMEN: It may be that we didn't look long and hard  
21 enough to find one that was equivalent to what the  
22 Fortis provisions are. It so happens that the ones  
23 that we looked at were symmetrical.

24 MS. MARR: Okay, so it wasn't that you were specifically  
25 searching, it was the --

26 MR. AMEN: No, actually not. We were trying to be as

1 agnostic about it as possible and only look based on,  
2 as I mentioned, some size considerations. Utilities  
3 of relevant size. Wanted to get a good cross section  
4 of geographic regions, because they are not all  
5 equivalent in terms of what pipelines serve them and  
6 how many. So, it was more based on getting sort of a  
7 broad based sample than anything.

8 MR. TAYLOR: Yeah, and we didn't know when we were doing  
9 the research that Fortis would propose a non-  
10 symmetrical. So, we did the research, and then  
11 presented results and talked through what we saw prior  
12 to that decision. So, we didn't focus on those  
13 utilities that may or may not. That wasn't a  
14 screening criteria.

15 MS. MARR: Okay, thank you. The next questions I have  
16 are about the possibility of a future review of  
17 effectiveness of new balancing rules, and I think we  
18 had one of the other parties up here earlier, and  
19 there was even a suggestion on Fortis' part. So, if  
20 the Commission approves the proposed transportation  
21 service balancing changes, does Fortis agree it would  
22 be appropriate to review and report on the  
23 effectiveness of the proposed changes and the issues  
24 that may be associated with unintended impact or  
25 unexpected impact on the use of the core resources for  
26 balancing the system? Is that something that Fortis

1 agrees would be appropriate to do at some point to  
2 review the effectiveness?

3 MR. HILL: I don't think, Cathy, we have any problems  
4 with that, or something, but it has to be some time to  
5 allow the rules and the market conditions, and allow  
6 the marketers and the shipper agents to change their  
7 behavior over time too. You can't -- you know, it's a  
8 process.

9 We've gone 20 years considerably without  
10 changing the rules or whatever. So, it has to be, in  
11 our view, have to allow some of the rules to play out  
12 and have some data to go on in different market  
13 conditions and that kinda thing.

14 MS. MARR: So that's my next question, what's the minimum  
15 sort of time period you would think you would need?

16 MR. HILL: If I recall this morning, I thought that would  
17 be like a three to five year process.

18 MS. MARR: Three to five, okay. And does Fortis have any  
19 concerns or issues if the Commission directed Fortis  
20 to include in any such future report a review of the  
21 implications of moving to implement tolerances and  
22 penalties for over-supply situations as well? Is  
23 there any concerns you'd have if that was something  
24 you were directed to take a look at?

25 MS. SALBACH: We would be fine with that.

26 MS. MARR: Yeah, okay.

1 MR. HILL: You are putting us to work, Cathy, here.

2 MS. MARR: The next one is to do with whether smaller  
3 transportation service customers can manage with the  
4 proposed balancing changes or not. I think you said  
5 that there are 13 shipper agents? And Cascadia asked  
6 a number of questions in Exhibit B-10 about the  
7 differences between small volume customers and larger  
8 volume customers, such as rate schedule 22 and the  
9 difference in their level of sophistication, access to  
10 resources and other factors.

11 So, my question is, how many transportation  
12 service customers manage their own balancing of supply  
13 and consumption without engaging a third party or a  
14 shipper agent? Do any customers do their own  
15 balancing?

16 MS. SALBACH: I believe Husky Refinery is one, and  
17 Powerex? Cogen, Island Cogen.

18 MS. MARR: Okay, are these both daily -- schedule 22?

19 MS. SALBACH: Yes.

20 MS. MARR: So, none of the customers that are monthly  
21 balanced customers manage their own --

22 MS. SALBACH: Correct, they do not.

23 MS. MARR: They're all managed by shipper agents?

24 MS. SALBACH: Yes.

25 MS. MARR: Okay. For transfers of imbalances between  
26 daily and monthly balanced accounts, again in research

1 done by Black & Veatch in response to an IR by BCUC,  
2 IR 59.2, Fortis states that based on the research  
3 conducted on over 20 LDCs by Black & Veatch, Fortis'  
4 current policy allowing shipper agents to transfer  
5 imbalances between daily and monthly accounts is  
6 unique.

7 **Proceeding Time: 2:03 p.m. T53**

8 So my question is, in Fortis' view, to what  
9 extent are some of the issues that Fortis is seized  
10 with the balancing of transportation service in  
11 aggregate on the Fortis system do to the stability of  
12 shipper agents to transfer balances between monthly  
13 and daily accounts?

14 MS. SALBACH: So under today's rules, you know,  
15 marketers are able to, as we've said, under-supply  
16 their monthly group and behave in that manner without  
17 penalty and over-supply in their daily, and so what we  
18 would prefer is to bring everybody to one level  
19 playing field to manage a daily balance group and look  
20 at the group in isolation versus what marketers are  
21 able to today, is look at how their monthly is doing  
22 and under-deliver potentially and look at how their  
23 daily is doing and over-deliver there. So maybe --

24 MS. MARR: I'm wondering, that practice of allowing the  
25 transfers, how much is that contributing to the issues  
26 that you've got? Is it --

1 MS. SALBACH: It's essentially a paper transaction.

2 MS. MARR: Where I'm headed on this, and it goes along  
3 the lines of what Tom Dixon was looking at, is did you  
4 look at phasing some of these things in, some of the  
5 changes and was that explored? If you just eliminated  
6 the ability to transfer, would that have been a first  
7 step, and do you think that might contribute to -- or  
8 sorry, help to resolve some of the issues.

9 MR. HILL: So I guess, Cathy -- yeah, so I think when we  
10 put our proposals forward in this application after  
11 some of the discussions at the workshops and what our  
12 research told us about third parties, and yeah, we  
13 considered other things, but what we landed on is what  
14 our approach is and what our asks are here in the  
15 application.

16 You know, in my opinion or whatever, to go  
17 right to daily balanced eliminates a lot of the stuff  
18 to do with monthly or daily, did you look at that, did  
19 you look at this, or whatever. It's industry  
20 practice. I think there's some support from some of  
21 the marketers themselves that view that as something  
22 that we should be doing.

23 You know, looking at phasing it, and all  
24 that kind of stuff, you know, that's not something  
25 that we thought would be -- we wanted to move along  
26 the pendulum and we've done that, and we think that's

1 a good step.

2 MR. TOKY: Can I just add something to that?

3 MS. MARR: Okay.

4 MR. TOKY: So when we were looking at our proposed  
5 changes to the transportation service and our  
6 proposals, there were a few issues that we noted,  
7 right? So one of the issues was the fairness,  
8 fairness in terms of the transportation customers  
9 itself, some of them are monthly balance and some of  
10 them are daily balance, and some of them have the  
11 ability not to be penalized for, you know -- they can  
12 draft the system and they can -- there's no balancing  
13 provisions. While every transportation customer, we  
14 believe, has to match their supply to their demand.  
15 So that's one of the issues of fairness.

16 And then there were -- there's an issue of  
17 whether we are sending the appropriate price signals  
18 or not. So that's basically where our proposal  
19 number, Stephanie is coming on and whether we are --  
20 like based on the industry practice and based on the  
21 research done by Black & Veatch, whether we are --  
22 where we are. Like in terms of what the industry  
23 norms are.

24 So based on those considerations we moved  
25 -- we believe it's reasonable to move everyone to  
26 daily balancing and then also have this tiered

1 structure in terms of a balancing charges, wherein we  
2 are not making huge changes as noted, that we don't  
3 have any balancing charges within zero to ten percent  
4 of the tier, but we are imposing a tighter balance  
5 from 20 percent to 10 percent.

6 **Proceeding Time 2:08 p.m. T54**

7 But it's still within the industry norm,  
8 and having charges on that is sending the appropriate  
9 price signals. So that's basically what we believe  
10 that, you know, those proposals are very reasonable  
11 and appropriate at this point in time.

12 MS. MARR: Thank you. And my last set of questions has  
13 to do with something we haven't talked about, is  
14 Fortis's role as shipper agent. And I noted the table  
15 that you brought up was a different version. There's  
16 a Table 10.8 from the application, you presented  
17 another view of it here that was in response to a  
18 question by CEC. There's a revised Table 10.8 in  
19 response to a Commission IR. Sorry, I've got the --  
20 I'm just, sorry, finding the reference there. That  
21 lists Fortis's -- where Fortis's position is on that  
22 table above the 10 percent tolerance. And the one I'm  
23 referring to, I think you know, Fortis is the second  
24 one at the top, the second worst offender.

25 MR. BYSTROM: I believe it's Exhibit B-5, BCUC 60.9.1.

26 MS. MARR: Thank you, Errol. 60.9.1.

1                   So my questions here have to do with  
2                   Fortis's role as a shipper agent. And as we can see  
3                   from this table, and Fortis's, I believe, has all  
4                   monthly balanced customers in its group. Is that  
5                   correct? And yet some of Fortis's historical  
6                   balancing has been up in the -- around some of the --  
7                   what people have referred to as the worst offenders.

8                   So I'm looking at Fortis's practices. In  
9                   response to a question in the second set of IRs, BCUC  
10                  IR 90.3, this is in Exhibit B-21. Fortis provided  
11                  some details regarding the balancing gas revenue that  
12                  was collected from the customers that they serve, the  
13                  rate schedule 14A customers, over the past few years.  
14                  And what I wanted to confirm here is the balancing gas  
15                  revenue that's collected there from 14A customers,  
16                  would be according to the tolerances in the tariff.

17                  That revenue is transferred to the  
18                  midstream and to the MICRA account, the Midstream Cost  
19                  Reconciliation Account, and then reimbursed to the  
20                  core customers through the storage and transport fee  
21                  in the same way as the premium was a net revenue  
22                  that's in the final line of that table.

23                  MS. SALBACH:    Correct.

24                  MS. MARR:     So both of those quantities go back to the  
25                  midstream --

26                  MS. SALBACH:    Midstream.

1 MS. MARR: -- to the credit of the core customers.

2 MR. HODGINS: Yeah, all the revenue to all gas go back to  
3 the midstream.

4 MS. MARR: Right. Including the balancing revenues.

5 So, this question again relates back to --  
6 the Commission has asked, if the tools are all there,  
7 and you can balance daily, in its role as shipper  
8 agent, Fortis has had some history in the past where  
9 they haven't exactly balanced them -- we got some  
10 numbers here in response to the BCUC IR 89.2, and  
11 90.3, some data. And when you look at the total  
12 balancing revenues that have been collected, and how  
13 much Fortis incurred as a shipper agent, we see that  
14 that percentage is as high as 21 percent, of the total  
15 monthly balancing charge collected in 2014.

16 **Proceeding Time: 2:12 p.m. T55**

17 So, my question is, will Fortis, as a  
18 shipper agent, have the same rules applied to them,  
19 the daily balancing rules would apply to Fortis as a  
20 shipper agent?

21 MR. HODGINS: Yes.

22 MS. SALBACH: So, the answer is yes. I just wanted to  
23 point out that -- so it's the rate schedules that the  
24 customers that are held to, would have daily balancing  
25 provisions. And so -- right? Which is the change  
26 that we are proposing here, right?

1 MS. MARR: Right, so that would apply to Fortis as a  
2 shipper agent.

3 MS. SALBACH: Yes, so whether these customers were  
4 managed by Fortis under rate schedule 14A or managed  
5 by a marketer, same-same. In their tariff it would  
6 have daily balancing requirements. And so, regardless  
7 of who manages them, the customers would be held to  
8 those balancing rules.

9 MS. MARR: Right. Okay, I think that is all the  
10 questions that I have. Thank you.

11 THE CHAIRPERSON: There are no questions from the panel.

12 MS. MCCORDIC: Sorry, Mary McCordic, Shell Energy.

13 Shawn, this is for you. In the unique  
14 situation in the Columbia where you may have an  
15 interconnect where a specific customer is over 90  
16 percent of the load, would you consider transferring  
17 the OBA to that customer?

18 MR. HILL: No, we would not.

19 MS. MCCORDIC: I thought that would be the answer, but  
20 thank you.

21 MR. BYSTROM: And maybe just before we move on, I will  
22 just have -- mark the presentation this morning as  
23 Exhibit B-28.

24 THE HEARING OFFICER: Marked B-28.

25 (FORTISBC SLIDE PRESENTATION MARKED EXHIBIT B-28)

26 MR. HILL: Actually, Mary, can I just follow up on that?

1 MR. BYSTROM: Sure.

2 MR. HILL: The reason why we would not do that is the  
3 interconnecting facilities, the OBAs are our  
4 interactions with Foothills pipeline. They are the  
5 interconnecting pipeline on the Columbia Region that  
6 Mary is talking about, and it is from a Fortis  
7 facility, or from a Foothills facility to a Fortis  
8 facility, and the customer is on the Fortis system.

9 So, it doesn't make any sense from our  
10 perspective about the customer holding the OBA,  
11 because we as the pipeline are responsible for  
12 managing the interconnecting. Those are our  
13 facilities, it's our business, We're the operator, and  
14 we need to manage that collectively. That's the way  
15 it was in the past, and it's not fair to Foothills to  
16 be phoning the individual customers when they're not  
17 even necessarily a customer of the utility. Make  
18 sense?

19 THE CHAIRPERSON: Mr. Miller?

20 MR. MILLER: Madam Chair, I believe that concludes the  
21 questioning from the intervenors, so I believe it is  
22 appropriate now to canvas the parties on their desire  
23 for oral argument and the timing.

24 THE CHAIRPERSON: Okay. So, we'll start with FEI?

25 MR. BYSTROM: I am happy to proceed now, but I would  
26 think that to do so, if we could get everybody up and

1 down today, and I think we'd probably have to sit  
2 until around 5 o'clock to do that. So, if we're all  
3 willing to go that far, I'm happy to do argument  
4 today.

5 MR. BURSEY: Madam Chair, David Bursey for the Industrial  
6 Customer Group. I'd prefer to do it on Monday. I  
7 think -- I'd like the benefit of reviewing the  
8 transcript. There has been quite an exchange on a  
9 number of issues, and it would be more efficient to do  
10 it on Monday, from my perspective.

11 THE CHAIRPERSON: Okay.

12 **Proceeding Time: 2:17 p.m. T56**

13 MR. BURSEY: We don't have -- argument won't be long in  
14 our case, because we've just a couple of issues, but  
15 it would be more efficient.

16 MR. WEAFFER: Chris Weaffer, Commercial Energy Consumers.  
17 We're happy to go forward today or Monday. In  
18 fairness to Mr. Bursey, I'm happy to support his  
19 position, but we can proceed today if you wish.

20 MR. ANDREWS: I'm in the same position as Mr. Weaffer.

21 MR. KRESNYAK: Peter Kresnyak, Absolute Energy. We'd  
22 prefer to review the information that we've seen today  
23 and give argument on Monday.

24 MS. McCORDIC: I'd also prefer Monday.

25 MR. DIXON: Tom Dixon, Access Gas. Monday probably  
26 works best for us.

1 MR. MARTISKAINEN: Jouni Martiskainen with Catalyst  
2 Paper. We would support Monday as well to give folks  
3 more time.

4 MR. MILLER: Madam Chair, of course, Commission staff  
5 don't make arguments. We have no preference.

6 THE CHAIRPERSON: Sounds good. Well, I think we will  
7 come back on Monday and have arguments at that time.  
8 Thank you everyone for your participation today.

9 (PROCEEDINGS ADJOURNED AT 2:18 P.M.)

10

11

I HEREBY CERTIFY THAT THE FORGOING  
is a true and accurate transcript  
of the proceedings herein, to the  
best of my skill and ability.

12

13



14

15

A.B. Lanigan, Court Reporter

16

17

November 22<sup>nd</sup>, 2017

18

19

20

21

22

23

24

25

26