

**BRITISH COLUMBIA UTILITIES COMMISSION**  
**IN THE MATTER OF THE UTILITIES COMMISSION ACT**  
**R.S.B.C. 1996, CHAPTER 473**

**And**

**FortisBC Energy Inc. (FEI)**  
**2016 Rate Design Application**

**Vancouver , B.C.**  
**March 9<sup>th</sup>, 2017**

---

**WORKSHOP 2:**  
**COSA & RATE DESIGN PROPOSALS**

---

**BEFORE:**

<b>K. Keilty,</b>	<b>Panel Chair</b>
<b>W. Everett,</b>	<b>Commissioner</b>
<b>D. Enns,</b>	<b>Commissioner</b>

**VOLUME 2**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

**FortisBC Energy Inc.**

**Workshop 2: COSA & Rate Design Proposals**

**March 9<sup>th</sup>, 2017**

**(PROCEEDINGS COMMENCED AT 9:01 A.M.)**

THE CHAIRPERSON: Good morning. My name is Karen Keilty and I am the Panel Chair for review of the FortisBC Energy Inc., or FEI's, 2016 rate design application. With me today are Commissioners Doug Enns and Bill Everett.

By Order G-6-17 the Commission established a regulatory timetable for this proceeding. I'd like to welcome everyone to the second of two workshops included in the regulatory timetable. This workshop will include a review of the cost of service allocation, or COSA models; the proposals in the application and the February 2<sup>nd</sup>, 2017 supplementary filing; and the approvals sought.

The workshop will form part of the evidentiary record for the proceeding and it will be transcribed. The presentation materials will be posted as evidence.

After I have completed my remarks, I will be turning the workshop over to FEI to take us through its presentation. I expect FEI will allow us to ask questions for clarity during the presentation, and at the end of the presentation there will also be an

1 opportunity for questions. Please note, the Panel  
2 members may ask questions of FEI and/or other parties  
3 in this workshop.

4 We expect the workshop to end around 4:00  
5 p.m., and we will take a break in the morning and the  
6 afternoon, and we'll be breaking for lunch. I'll ask  
7 FEI's presenters to decide on the appropriate time for  
8 the breaks based on the flow of their presentation.

9 During the workshop, it is necessary to  
10 have the microphone while speaking in order to  
11 facilitate the transcription process and so that  
12 participants on the phone can hear clearly. We also  
13 ask that you state your name prior to speaking.

14 Now I will go around the room and have  
15 people introduce themselves, and who they represent,  
16 followed by any participants who have joined us on the  
17 phone. Thank you, and we can pass the mike for  
18 introductions.

19 MR. BYSTROM: Chris Bystrom with the law firm Fasken  
20 Martineau representing FortisBC Energy Inc.

21 MR. PERTTULA: Dave Pertulla, FortisBC Energy Inc.,  
22 Regulatory Affairs.

23 MS. SALBACH: Stephanie Salbach, FortisBC, Transportation  
24 Services Manager.

25 MS. GRAVEL: Colleen Gravel, FortisBC, Regulatory  
26 Affairs.

1 MS. JOLY: Janice Joly, FortisBC Regulatory Affairs.  
2 MR. MOORE: Ed Moore, FortisBC Regulatory Affairs.  
3 MR. AMEN: Ron Amen, Black & Veatch Management  
4 Consulting, representing FortisBC.  
5 MR. MASON: Matt Mason, FortisBC, External Relations.  
6 MS. FALCON: Anne Falcon, EES Consulting, representing  
7 FEI.  
8 MS. ROY: Diane Roy, FortisBC, Regulatory Affairs.  
9 MS. LANG: Mary Lang, FortisBC Energy Supply.  
10 MR. MORROW: Kirby Morrow, Absolute Energy.  
11 MS. JOBS: Susan Jobs, Absolute Energy.  
12 MS. McCORDIC: Mary McCordic, Shell Energy.  
13 MR. HODGINS: Kevin Hodgins, FortisBC, Industrial  
14 Accounts.  
15 MR. OTTO: Verlon Otto, Pacific Northern Gas.  
16 MS. BRAITHWAITE: Tannis Braithwaite, with the B.C.  
17 Public Interest Advocacy Centre.  
18 MR. CRAIG: David Craig, the Commercial Energy Consumers  
19 ratepayer group.  
20 MR. WEAFFER: Chris Weaffer, from the law firm Owen, Bird,  
21 representing the Commercial Energy Consumers.  
22 MR. HASTINGS: Calvin Hastings, BC Hydro, Regulatory and  
23 Rates Group.  
24 MS. TRESOGLAVIC: Marjia Tresoglavic, BCUC.  
25 MS. SUE: Suzanne Sue, BCUC.  
26 MR. HACKNEY: Tom Hackney, B.C. Sustainable Energy

1 Association and Sierra Club B.C.  
2 MR. ANDREWS: Bill Andrews, I'm counsel for the B.C.  
3 Sustainable Energy Association and Sierra Club B.C.  
4 MR. MILLER: Paul Miller, Boughton Law Corporation,  
5 Commission counsel.  
6 MR. SOUTH: Errol South, BCUC.  
7 MR. BURSEY: Hi. Dave Bursey, the guy at the back. I'm  
8 with Industrial Consumers Group. That's Teck, Domtar,  
9 Weyerhaeuser and Celgar. Thank you.  
10 MR. GOSSELIN: Richard Gosselin, FortisBC, Regulatory  
11 Affairs.  
12 MR. TOKY: Atul Toky, FortisBC, Regulatory Affairs.  
13 MR. MEHRAZMA: Rouzbeh Mehrazma, FEI, Regulatory Affairs.  
14 THE CHAIRPERSON: Is there anyone on the phone who would  
15 like to introduce themselves?  
16 MS. DAVIDSON: Jennifer Davidson, B.C. Government.  
17 THE CHAIRPERSON: Thank you. Okay. I will turn it over  
18 to FEI.  
19 MR. PERTTULA: Thank you, Commissioners and participants,  
20 for giving us the opportunity to present our rate  
21 design application today.

22 As Commissioner Keilty mentioned, we are  
23 reviewing the cost of service allocation models, the  
24 rate design proposals in the application, and the  
25 approvals sought.

26 **Proceeding Time 9:08 a.m. T02**

1                   And so just as a bit of an introduction, we  
2                   thought we'd look at a couple of slides from last  
3                   week's presentation – there we go – just to set some  
4                   of the background.

5                   And so as we heard last week, this slide  
6                   depicts the two major rate-setting applications that  
7                   the Commission deals with for public utilities:  
8                   revenue requirements applications and rate design  
9                   applications. And it's obvious the Commission reviews  
10                  lots of other types of applications, like capital  
11                  projects or energy supply contract applications or  
12                  resource plans. But these two applications that are  
13                  depicted here are the two major ones in the context of  
14                  rate setting.

15                  So the pie on the left-hand side of the  
16                  slide is representative of the revenue requirement,  
17                  and the revenue requirement is the revenues that must  
18                  be collected from our customers to recover the overall  
19                  costs of providing service. And you'll see that there  
20                  are different components in the overall revenue  
21                  requirement. There's a commodity slice; there's a  
22                  midstream slice, also called storage and transport;  
23                  and there's the multi-coloured slices which deal with  
24                  the utility's delivery cost of service. And so those  
25                  are the major components in our delivery cost of  
26                  service.



1                   So cost allocation is how do you slice the  
2 pie and then rate design is how do you pay for the  
3 slice.

4                   The next slide here is a depiction of the  
5 overall value chain for natural gas, and it goes all  
6 the way from the commodity portion at the gas  
7 wellhead, through gas processing, through upstream  
8 transmission as well as storage resources. Then  
9 there's a nice arch there which is representative of  
10 the interconnect. In some jurisdictions they refer to  
11 it as the city the gate. But that's the interconnect  
12 between the upstream pipeline. On the line -- we've  
13 lost our presentation momentarily. But it's back.

14                  And then below that interconnect is the  
15 utility's distribution system where we deliver the gas  
16 to large-volume customers, commercial customers and  
17 residential customers.

18                  And as we talked about last week, there are  
19 three main business models -- or service models that  
20 FEI provides natural gas to its customers. So two of  
21 them we were referring to as sales service, and we  
22 have the bundled sales service where customers receive  
23 the commodity, the midstream or storage and  
24 transportation and the delivery service all from FEI.  
25 Then the unbundled sales service where customers  
26 receive their commodity from a Customer Choice

1 marketer, but they still receive the storage and  
2 transport and delivery portions from FEI.

3 And then the third business model is  
4 transportation service, where the customers arrange to  
5 get the commodity to the interconnect with FEI or with  
6 the utility. So they've done whatever is necessary to  
7 secure the commodity, as well as whatever storage and  
8 transportation arrangements are needed to get the  
9 commodity there, and then all that they get from FEI  
10 is the delivery service across the utility system.

11 **Proceeding Time 9:15 a.m. T4**

12 And so we talked also about how our bills  
13 reflect these three different components, commodity  
14 component and the storage and transport for midstream,  
15 as well as the delivery component. So customers see  
16 all those things on their bill, excepting the  
17 transportation customers who only see the delivery  
18 charges.

19 And then we talked about the different  
20 types of costs that are represented. Some of them are  
21 volumetric or energy related. Some of them are  
22 related to demand or capacity. And some costs are  
23 driven by the fact that we have customers on the  
24 system.

25 And then finally we have our tariffs and  
26 terms and conditions which set out all the rates and

1 also the terms and conditions of providing service to  
2 customers.

3           Something we didn't cover last week but  
4 which I'll do a brief background on is the rate design  
5 history, so for FEI. So this slide here doesn't cover  
6 all the different components in the rate design  
7 history but it kind of covers the major ones. So back  
8 in 1991 and 1993 we had our first two rate design  
9 proceedings for BC Gas as FEI was known at the time,  
10 so that the 1991 or Phase A rate design proceeding  
11 established the practice of allocating commodity-  
12 related costs on an energy or volumetric basis and  
13 demand charges and other fixed costs pertaining to gas  
14 supply operations on a load factor adjusted basis.  
15 And then shortly after that our Phase B rate design  
16 proceeding in 1993 approved common delivery rates for  
17 the Lower Mainland, Inland and Columbia service areas.  
18 And when the tariff was established following that  
19 proceeding, it set out the different charges, the  
20 commodity-related charges and the delivery-related  
21 charges, separately in the tariff document.

22           In 1996 there was another rate design  
23 proceeding which went through a negotiated settlement  
24 process. So the postage stamp methodology from the  
25 Phase B rate design was maintained. There were some  
26 increases to basic charges for the residential and

1 commercial classes. For our small industrial or  
2 general service classes Rates 5 and 25 a demand charge  
3 formula was introduced, as well as a deemed load  
4 factor of 50 percent for gas costs. And then that was  
5 when we had the large commercial service,  
6 transportation service introduced. That's Rate  
7 Schedule 23.

8 A next major point was in 2000 and 2001 we  
9 had built the Southern Crossing Pipeline, which was a  
10 large capital project being added to the rate base.  
11 And so through two processes through 2000 and --  
12 sorry, the 2000 SCP cost allocation process and the  
13 2001 rate design, we had arrangements were approved  
14 whereby the cost of service of the Southern Crossing  
15 Pipeline was allocated to non-bypass customers in the  
16 normal fashion, based on an equal percentage of  
17 delivery margin. Except that it was not allocated to  
18 either the bypass customers or Columbia, rate schedule  
19 22B customers.

20 **Proceeding Time 9:19 a.m. T05**

21 And the 2001 rate design accepted that cost  
22 allocation as a starting point. Also, every --  
23 several other rate design changes came about through  
24 that, which was a negotiated settlement process as  
25 well, approved by the Commission.

26 Next major point was in 2004 and 2007, when

1 we had commodity unbundling, or the Customer Choice  
2 program, as we referred to it, this followed some  
3 provincial energy policy that was -- came from 2002.  
4 And these processes provided the opportunity for  
5 marketers to sell gas to small volume customers. And  
6 so in 2004, that was implemented for the commercial  
7 rate classes. And in 2007, the residential rate  
8 classes were -- rate class, sorry, was introduced to  
9 the Customer Choice program.

10 And so this is when what was -- we were  
11 referring to last week as the "essential service  
12 model" was established. And the gas supply costs  
13 which had formerly been in one big bucket were  
14 separated into two portfolios, the commodity and the  
15 midstream, or storage and transport as we now refer to  
16 it.

17 And then the last item on the list there is  
18 the 2012 common rates amalgamation and rate design and  
19 the 2013 reconsideration of that. And so the  
20 application there was for FEI to amalgamate three  
21 utilities -- which were FEI, which at that time was the  
22 Mainland and Interior; FEVI, or the Vancouver Island  
23 operation; and FEW, or FortisBC Energy (Whistler) --  
24 into a single entity and implement common rates. And  
25 so -- or postage-stamp rates.

26 And so this application was approved in the

1 reconsideration process, and allowing postage-stamp  
2 rates with a three-year phase-in period.

3 And 2017, that we're in right now, is the  
4 last of the years in that phase-in period. So,  
5 beginning with 2018, we'll move into postage-stamp  
6 rates across those three service areas.

7 So that's a bit of a historical picture.  
8 And we'll just look briefly at the agenda for today.  
9 And the main part is in the morning we'll be dealing  
10 with the COSA methodology and -- the cost of service  
11 allocation methodology, that is. And various related  
12 information and studies that have been involved in  
13 preparing the COSA studies. And I guess we'll see how  
14 far we get along, and we may get to the beginning of  
15 the rate design proposals in the morning. But we'll  
16 see how it goes.

17 And so the different rate design proposals  
18 may happen in the afternoon, or perhaps starting later  
19 in the morning, and then finally we'll be dealing with  
20 the next steps in the regulatory timetable. So,  
21 that's a snapshot of the agenda there.

22 And our speakers today are several that  
23 presented last week, but we have, I believe, two new  
24 speakers that didn't present last week and that's  
25 Rouzbeh Mehrasma and Kevin Hodgins. But I'll just ask  
26 them to introduce themselves when they come up.

1 **Proceeding Time 9:24 a.m. T06**

2 And so we can move now into the  
3 presentation on the COSA results and methodology, and  
4 so I would invite Rick Gosselin to come up and do  
5 that.

6 MR. GOSSELIN: Thank you, Dave. Welcome and thank you  
7 Commissioners and participants. Today I'll be covering  
8 most -- I'll be covering the cost allocations for FEI  
9 and Fort Nelson. My name is Richard Gosselin, I'm the  
10 manager of cost of service for FortisBC.

11 Cost allocation is a fundamental component  
12 in the process of developing our rate design  
13 application. FEI performed its cost allocations in  
14 accordance with standard utility practice. Cost  
15 allocation is subjective in some cases. Some costs  
16 can be allocated in more than one way. FEI has relied  
17 upon its past practices, system knowledge, judgment  
18 and logic to make its cost allocation decisions.

19 Cost allocation results inform us about the  
20 cost causation and the reasonableness of the revenue  
21 that we collect from our rate schedules. There are  
22 many mathematical calculations and complex  
23 relationships in the cost of service model that we  
24 use, and I'll do my best to answer as many questions  
25 as you have. However, if they are questions that are  
26 too complex in nature, I may have to suggest that we

1       pose those through the IR process, just because some  
2       of those calculations are quite inter-related in the  
3       COSA model.

4                 First, I'd like to take you through the  
5       steps of the cost allocation process. You've seen  
6       this last week, but I just wanted to run through it  
7       quickly to reiterate the process that we go through  
8       when we do our cost allocations. First we start with  
9       our cost of service, of course, the revenue  
10      requirement. And the first thing we do within the  
11      COSA model is we functionalize the cost of service.  
12      We functionalize both the plant rate base and the cost  
13      of service, but the functionalization process puts the  
14      costs into buckets that define the service that they  
15      are in support of.

16                The second thing we do in the cost  
17      allocation process is we classify the costs. So of  
18      the costs within the function, are they energy  
19      related? Meaning do they vary with energy? Are they  
20      caused by us delivering energy? Are they demand  
21      related? Are the costs there because the customers or  
22      the customer group incurs a certain demand at a  
23      certain time? Or are the costs there because they  
24      joined the system, because they're a customer?

25                So that's the cost causation piece of it,  
26      or the classification.

1                   Then ultimately we allocate the costs from  
2 the classifications based on the contributor to the  
3 allocator. So in other words, if we are allocating a  
4 customer cost based on number of customers, we would  
5 use the number of customers in the rate schedule to  
6 allocate those costs.

7                   To do this, we have a couple of supporting  
8 studies that we'll talk through the results of as  
9 well, that help us in our cost allocations and in some  
10 cases classification.

11                   Some of you may remember this slide from  
12 last week: What is cost allocation? And for those  
13 on the phone it's slide number 8.

14                   On the left we have -- sorry. On the  
15 customer's bill we see commodity cost, storage and  
16 transport cost and delivery charges, and the delivery  
17 charges are the delivery cost can include things like  
18 the basic charge or a demand charge or a volumetric  
19 delivery rate.

20                   FEI has a separate process to calculate and  
21 allocate each of these components. The commodity cost  
22 charges that you see on the left-hand side there, and  
23 the storage and transport charges are refreshed  
24 quarterly, and FEI seeks approval for the commodity  
25 costs quarterly and the storage and transport charges  
26 annually.



1 to the test year delivery costs that we'll cover in  
2 the next few slides.

3 So, as I just mentioned, we have  
4 adjustments to the test year. These adjustments  
5 impact the cost of service or the revenue requirement  
6 at the beginning of the cost allocation process. So,  
7 the process right at the front there, the cost of  
8 service revenue requirement, the adjustments to the  
9 test year basically affect that part of the component  
10 of the cost allocation process.

11 So how do the adjustments to the test year  
12 affect the COSA model? This is slide 11, for those on  
13 the phone.

14 Well, when we bring in the test year, the  
15 2016 annual review, into the COSA model, our revenues  
16 equal our costs. This is the approved test year,  
17 where we've been approved a certain rate change. And  
18 in that model, or in that input, in the COSA model,  
19 the revenues equal the costs.

20 Then we make these adjustments to the test  
21 year. Typically these adjustments create a mismatch  
22 between costs and revenues. So the difference between  
23 the costs and the revenue is applied to all rate  
24 schedules as a change in the revenue required. So we  
25 apply the same percentage change to all our rate  
26 schedules. So if the adjustments to the test year,

1 let's say, increase the cost of service by 2 percent,  
2 we'll increase everyone's delivery cost of service,  
3 all the non-bypass customers' delivery cost of service  
4 in the COSA model by 2 percent, so now the revenues  
5 equal the costs again. And then we go on to the  
6 second process of functionalization, and basically  
7 allocating the rest of our costs based on the revenue  
8 equaling the cost.

9 The adjustments we made to the test year.  
10 Basically the adjustments are made so the COSA  
11 reflects what the utility is going to look like in the  
12 near term. The adjustments we've made are the test  
13 year O&M, was split into an activity view. So the  
14 amount that we brought in from the revenue requirement  
15 was a gross amount, based on the PBR, but we split  
16 that up into its activity view, so we can properly  
17 functionalize those costs.

18 There was a change in the RS 22A volume  
19 that we'll speak to in a minute, that we made in the  
20 COSA as well. We have some adjustments on contract  
21 revenue for BC Hydro, Island Generation and Burrard  
22 Thermal. We have some larger capital projects coming  
23 in, the Lower Mainland intermediate pipe system  
24 upgrade project, or LMIPSU, for an acronym, that we  
25 brought into the COSA model. We have the Coastal  
26 transmission system upgrades that we expect to be in

1 service, and the acronym for that is CTS, and we  
2 brought those into the COSA model as well.

3 And finally we have added in the Tilbury  
4 expansion project that's undergoing right now, and we  
5 brought that into the COSA model as well.

6 In the next few slides, we'll talk through  
7 all of these adjustments and how they were brought in  
8 and their impact.

9 **Proceeding Time 9:34 a.m. T08**

10 As I mentioned under FEI's current PBR, the  
11 O&M test year is basically a single amount. For a  
12 proper cost allocation, we'd like to -- we needed to  
13 split that O&M amount into its various components so  
14 they can be properly functionalized and allocated to  
15 all the rate schedules we have in the COSA model. We  
16 used our 2015 actuals, so we looked at our 2015  
17 actuals O&M, and the activity in view of our 2015  
18 actuals, and we used that to split up the 2016 O&M  
19 that was included in the revenue requirement of the  
20 test year. The resulting table that you see in the  
21 slide, Slide 13 for those on the phone, is the summary  
22 of all the splits that we made, and you can also find  
23 that in the application Appendix 6-3 in a little bit  
24 more detail.

25 So as you can see, Distribution picked up  
26 56.4 million of the total 271.6 million in O&M.

1                   The next adjustment we made was for our 22A  
2 volume adjustment. We adjusted the COSA for Rate  
3 Schedule 22A volume -- or revenue that was incorrectly  
4 classified in our 2016 annual review between firm and  
5 interruptible. The result was really a net decrease  
6 in revenue of 1.3 million. So we reduced the revenue  
7 in the COSA from 22A by a net 1.3 million. And we  
8 also increased the firm volume in TJs per day for Rate  
9 Schedule 22A in the COSA for cost allocation purposes.

10                   Sorry, can you repeat that?

11 MR. BURSEY: Does that explain why the revenue-to-cost  
12 ratio changed so much from the material presented in  
13 the workshop --

14 MR. GOSSELIN: Last summer?

15 MR. BURSEY: Yeah, to now?

16 MR. GOSSELIN: That does explain it, yes. So the  
17 increase in the firm demand, which is the demand that  
18 we have contracted with these folks, what it does it  
19 attracted more costs.

20 MR. BURSEY: Right.

21 MR. GOSSELIN: And also on the revenue side, we  
22 overstated the revenue because the interruptible  
23 charges for these folks are a little bit higher than  
24 the firm charges. So those two things together was  
25 the reason why -- the errors that were embedded in the  
26 2016 revenue requirement was the reason that RS 22A

1 was so high on the RC ratio.

2 MR. BURSEY: Okay, thank you.

3 MR. GOSSELIN: Yeah. Contract revenue adjustment in the  
4 test year that we made in the COSA. So we adjusted  
5 the COSA for revenue and volume changes for two of our  
6 contracts that were effective November 2016. So in  
7 November 2016 BC Hydro Island Generation increased its  
8 firm volume and its rate. The firm volume went up by  
9 5 TJs per day and the rate went up by 10 cents per  
10 gigajoule. And in November 2016 our Burrard Thermal  
11 Agreement expired. So what we did was we tried to  
12 make 2016 look like going forward years and so we  
13 adjusted the volume and the revenue for both of these  
14 customers, assuming that it happened like this all  
15 year.

16 The two larger capital projects that we had  
17 included in the COSA or that we have included in the  
18 COSA, the LMIPSU and the CTS, Slide 16, the capital  
19 costs included in the COSA in plant is \$426 million,  
20 and the annual cost is -- the risks for these two  
21 items, or these two projects, rather, is about \$39  
22 million, and those two costs were included in the  
23 COSA. These projects are forecast to be completed in  
24 2018.

25 **Proceeding Time 9:34 a.m. T09**

26 Slide 17, Tilbury expansion project. The

1        Tilbury expansion projects expected to be completed in  
2        2017. We directly assign the costs in revenue to rate  
3        schedule 46 in the COSA. As we discussed last year,  
4        we used the ten-year levelized net cost of revenue,  
5        which equals about a 7 million net difference. The 7  
6        million net difference between costs and revenues has  
7        been allocated to all other customers in the COSA.

8                    Moving on to slide 18, so in the COSA we  
9        have a couple of supporting studies that we use to  
10       help us classify costs and allocate costs. The names  
11       of the supporting studies are the minimum system  
12       study, sometimes referred to as the MSS, and in  
13       addition to the MSS we have another component that is  
14       part of that. It is called the peak load carrying  
15       capacity adjustment, PLCC adjustment. Those two  
16       together help us classify the distribution plant into  
17       customer and demand, and we'll see how that works in a  
18       bit.

19                    And we also have a customer weighting  
20       factor that helps us classify our services in meters  
21       and also our administration and billing costs.  
22       Rather, not help us classify but rather help us  
23       allocate a fair amount to each rate schedule using the  
24       customer weighting factor studies. And I'll show you  
25       how those ones -- the calculation for those and the  
26       results.

1                   Motoring along here. Slide 19, the minimum  
2 system study. The minimum system study is applied to  
3 components of FEI's distribution system. The MSS  
4 approaches recognized that the distribution is in  
5 place in part to connect our customers to the system  
6 and in part to serve our customers some level of peak  
7 demand when they need it.

8                   The portion of FEI's distribution system  
9 required to connect the customers classified in the  
10 COSA as customer related and the balance is classified  
11 as demand related. The MSS calculates these  
12 proportions. So we have about 25,000 kilometres of  
13 distribution mains in polyethylene and steel in the  
14 province. Our minimum standard is 60 millimetre PE.

15                   So what we do is we essentially value the  
16 entire 25,000 kilometres of our distribution mains,  
17 regardless of their size, at the value of the 60  
18 millimetre polyethylene pipe. That value, when you do  
19 that, turns out to be \$1.419 billion. So when you  
20 value the distribution system at our minimum standard,  
21 it sums to 1.419 billion.

22                   Then you look at the value of the  
23 distribution system at its actual value, at the  
24 weighted actual cost -- or the weighted cost of  
25 replacement, rather. And when you do that, you get a  
26 value of \$4.7 billion. So the value of the

1 distribution system out there today is about \$4.7  
2 billion.

3 The minimum system says, well, if we only  
4 built a minimum system it would have been for 1.4  
5 billion, divided by the 4.7 billion equals 30 percent.  
6 So 30 percent of the distribution mains cost is  
7 classified as customer related.

8 This is how we use the minimum system to  
9 take the distribution mains and split it into customer  
10 and demand. 30 percent is classified as customer, and  
11 then the offset of 70 percent is classified as demand.

12 The PLCC adjustment. The minimum system  
13 study calculates the proportion of FEI's distribution  
14 system that is customer-related, using the value of  
15 the 60 millimetre PE pipe.

16 **Proceeding Time 9:39 a.m. T10**

17 While the 60 millimetre PE pipe also has a  
18 carrying capacity -- a load-carrying capacity,  
19 basically there is a load or a capacity component  
20 embedded in the 60 millimetre pipe. The peak load  
21 carrying capacity adjustment is an adjustment that  
22 recognizes there is a load carrying capacity embedded  
23 in the minimum system, and attempts to avoid double-  
24 counting that load. The PLCC adjustment is used to  
25 reduce the peak day demand allocator that we use to  
26 allocate demand-related costs. This is done so that

1 we're not over-allocating demand-related costs,  
2 because there is already some demand-related costs  
3 existing in the minimum system.

4 So the PLCC is adjustment that we use to  
5 recognize that the minimum system of 30 percent that's  
6 being allocated on customer already has some demand  
7 component embedded in it. So the PLCC adjusts the  
8 peak day demand so we're not basically double-  
9 allocating demand.

10 So, the result, as you can find in Appendix  
11 6-5, equals .25 gigajoules per day per customer when  
12 you do all the math on the PLCC adjustment. So an  
13 example at the bottom of the slide shows you how we  
14 actually use it in the COSA to reduce peak day demand  
15 so we don't double-allocate demand. So at .25  
16 gigajoules per day per customer for rate schedule 1,  
17 times about 886,000 customers, it equals to 182 TJs  
18 per day.

19 RS 1's peak day demand, in the COSA model,  
20 is 636 TJs per day. So what we do is, we take the  
21 636, we subtract 182, and we use 453 TJs per day of  
22 peak day demand to allocate the distribution plant to  
23 these RS 1 customers, rate schedule 1 customers. And  
24 we do that for all the rate schedules in the COSA when  
25 allocating distribution plant.

26 Moving on to slide 21, we have the customer

1 weighting factor study. This recognizes that not all  
2 customers cost the same to connect to FEI's system.  
3 Nor do they cost the same to administer. Higher  
4 volume customers tend to cost more to connect, with  
5 larger meters and larger services, and those same  
6 customers tend to cost more to administer and bill.

7 The weighting factor for meters and  
8 services, it's used to weight the number of customers  
9 in a rate schedule for allocation of distribution  
10 meters and services. The weighting is relative to  
11 rate schedule 1. So rate schedule 1 is always equal  
12 to 1.0, and then you look at the costs of the meters  
13 and services for all the rate schedules in relation to  
14 rate schedule 1, and you develop a proportionate  
15 factor.

16 So, rate schedule 2, in the next little  
17 table in the middle of the page, their meters and  
18 services cost 1.7 times that of rate schedule 1. So  
19 what we do in the COSA model, when we allocate costs  
20 for meters and services, rate schedule 2 we would  
21 increase their number of customers by 1.7. So we take  
22 the number of customers, we times by 1.7, and that  
23 weighted customer is -- that weighted customer number  
24 is the number we use to allocate meters and services  
25 costs.

26 And we'll go through some examples in a



1 each one separately, we look at them on a whole  
2 because it's easier to see how it all works in the  
3 COSA when you look at all three steps together.

4 Yes. So next one. So because much of  
5 FEI's delivery cost of service exist to serve the  
6 plant assets, FEI must first allocate it's plant and  
7 rate base costs. Some of the cost allocated based on  
8 plant and rate base include things like distribution  
9 O&M, general and intangible O&M, property taxes,  
10 income taxes, earned return. Those are just some of  
11 the costs in the delivery cost of service that we use  
12 plant and rate base to allocate.

13 So this pie basically shows you our rate  
14 base categorized into its different categories. You  
15 can look in the revenue requirement and you'll get  
16 this kind of picture. We have \$4.5 billion in our  
17 rate base. A quarter of that is in transmission  
18 plant. About half of it is in distribution plant.  
19 Storage makes up for about an eighth of it. General  
20 intangibles, again, another eighth and then a few  
21 smaller items like working capital and unamortized  
22 deferrals make up the balance of our \$4.5 billion in  
23 rate base.

24 The following slides I'm going to show you  
25 show the allocations of some of these rate base items.  
26 The items -- the examples that we are going to go

1 through include distribution mains, and we are going  
2 to see how we applied the minimum system study  
3 results. We're also going to show how we applied the  
4 peak load carrying capacity adjustment.

5 We're also going to look at distribution  
6 service lines and meters and we're going to show you  
7 how we applied the weighting factor for service lines  
8 and meters, and then we're going to go to a summary of  
9 the rate base allocation -- rate base and plant  
10 allocations.

11 For those on the phone, we're on slide 25.  
12 So there's lots of numbers and lots of math, but we're  
13 going to start at the top and move right through it.

14 So plant and rate base. This is the  
15 account number 475 in the uniform system of accounts  
16 there for utilities. It's distribution plant mains.  
17 The amount of net plant that we have is \$1.1 billion,  
18 and we functionalize it as distribution. These  
19 distribution mains, they serve the distribution  
20 function. This is the cost that we say, well, these  
21 are the distribution mains. They are in place in part  
22 because our customers exist and they are in place in  
23 part to serve a peak load demand at a time that our  
24 customer needs it.

25 So this is where we apply the minimum  
26 systems study where we split up this cost into its

1 demand and customer components using the result of  
2 that. And then we allocate it, the demand component  
3 in particular, using the adjusted peak day demand and  
4 it's adjusted by the peak load carrying capacity. And  
5 then we allocate the customer portion based on the  
6 average number of customers in that rate schedule.

7 **Proceeding Time 9:54 a.m. T12**

8 So the next table in the middle of the  
9 page, you'll see the Minimum System Study results of  
10 30 percent customer and 70 percent demand. When you  
11 apply that to the 1.1 -- or \$1,123.4 million, we get a  
12 split of 340,000 classified as customer, and -- sorry,  
13 340 million classified as customer, and 783 million  
14 classified as demand.

15 So, first of all we're going to allocate  
16 the customer portion, the \$340 million. On the bottom  
17 table on the left-hand side you'll find the rate  
18 schedules that were allocated a component of this \$340  
19 million. You'll see the average number of customers.  
20 Those are the customer numbers that you'll find in the  
21 revenue requirement or test year. The percentage is  
22 simply a derivation of the customer per rate schedule  
23 divided by the total customers. So for Rate Schedule  
24 1 it'd be 886652 divided by 979047, to get you a 90.6  
25 percent allocator. Then we use the 90.6 or the  
26 percentages in that percentage column to allocate the

1       \$340 million in customer cost. So of the distribution  
2 mains of \$1.1 billion, Rate Schedule 1 at this part of  
3 the allocation as it attracted \$308 million of those  
4 costs. That's the customer-related component.

5               The table at the top or the line at the top  
6 and the table in the middle is the same one from the  
7 previous slide, but now we're going to talk about how  
8 we allocate the demand portion of it. So we're going  
9 to talk about how we allocate the 783 million of  
10 demand related to the distribution mains. This is  
11 Slide number 26 for those on the phone.

12               So in the table on the bottom you'll see  
13 the rate schedules on the left and these are the rate  
14 schedules that attracted some of these demand costs.  
15 You'll see the peak day demand in the second column.  
16 This is the peak day demand that was calculated based  
17 on the load factors for our customers. And then you  
18 see the PLCC adjustment. So this again recognizing  
19 the fact that these rate schedules have already paid  
20 for some demand component embedded in the minimum  
21 system through their customer allocation. So we take  
22 the PLCC adjustment and we reduce the peak day demand  
23 that we've calculated in the COSA, and we get an  
24 adjusted peak day demand for Rate Schedule 1 of 453.

25               So when you take the adjusted peak day  
26 demand, you calculate -- you use those numbers to

1 derive the percentages. Same way as we did before,  
2 453 TJs per day for Rate Schedule 1 divided by a  
3 million TJs per day for everybody equals 44.4 percent.

4 So of the \$783 million of demand-related  
5 costs from those distribution mains, 44 percent of it  
6 is allocated to Rate Schedule 1. So Rate Schedule 1  
7 attracts \$347 million of the demand component, demand-  
8 related component of the distribution mains --  
9 distribution plant mains.

10 Slide number 27. We're going to talk  
11 through the classification and allocation of services  
12 and meters, distribution plant services and meters.  
13 The account, the uniform account is 473/478. The  
14 amount, the net plant amount is \$962 million. We  
15 functionalized that in the COSA as distribution  
16 related, distribution -- sorry, yeah, it's a  
17 distribution function. We have classified it as  
18 customer. So services, meters -- service lines and  
19 meters are there because a customer joined the system.

20 **Proceeding Time 9:58 a.m. T13**

21 There's a piece of pipe in the meter that runs off the  
22 main going down the middle of the street. And we  
23 allocate those based on average customers, but not  
24 just average customers, the average customers adjusted  
25 by the customer weighting factor that we've derived to  
26 recognize larger customers tend to have more expensive

1 services and meters.

2 So the table down at the bottom, we see a  
3 rate schedule on the left again. We see the number of  
4 customers in each of those rate schedules, from the  
5 test year. And then we have the weighting factor for  
6 services and meters that was derived in the customer  
7 weighting factor study.

8 So we'll move to rate schedule 2, because  
9 rate schedule 1 is the basis, basically, the 1.0  
10 proportion.

11 So rate schedule 2 has about 85,000  
12 customers in it. Recognizing that rate schedule 2  
13 customers services and meters are about 1.7 times more  
14 costly than rate schedule 1, we multiply the 84,737 by  
15 1.7 to get 146,934 customers -- weighted customers.  
16 When you take the 146,934 and you divide it by the  
17 total of weighted customers of 1.114 million, down at  
18 the bottom, we get an allocation of 13.2 percent for  
19 rate schedule 2. 13.2 percent times 962,000 -- sorry,  
20 \$962 million results in an allocation for rate  
21 schedule 2 of the distribution plant services and  
22 meters cost of \$126.9 million.

23 So that's how we use the customer weighting  
24 factor for services and meters to recognize that  
25 larger -- the larger rate schedules, the commercial  
26 and industrial rate schedules, are more costly to

1 basically install. So they get allocated a higher  
2 cost of the services and meters.

3 Is everyone still awake?

4 THE CHAIRPERSON: Can I ask you a question?

5 MR. GOSSELIN: Yes, you can.

6 THE CHAIRPERSON: How do you determine the weighting  
7 factor?

8 MR. GOSSELIN: The customer weighting factor? That is --  
9 what we do is, we look at basically all of our meters  
10 that are in -- active today. So all the meters we  
11 have in the system today. And we look at them, if  
12 they're serving rate schedule 1, if they're serving  
13 rate schedule 2. So rate schedule 1 can have a number  
14 -- it can have ten different types of meters. And  
15 they all have a cost to them. And the cost we look at  
16 is generally the insured value, or the replacement  
17 value of these meters. So we have all the meters in  
18 service, the number of them. We have the value of  
19 those meters. And then we basically extrapolate that  
20 into a value of all the meters in rate schedule 1  
21 versus all the meters in rate schedule 2. If you take  
22 all that value, divided by the customers, you get a  
23 cost per meter per customer. Meters and services.

24 So once we do that, we know a rate schedule  
25 1, for example, may have a meters in service worth  
26 \$150. So we just call that 1.0. If rate schedule 2,



1       derive the same number, but really just don't have the  
2       data to do that. So we look at insured value or  
3       historical value. Or sorry, insured value or rather  
4       replacement value for everybody, not just one class.  
5       So we'd get a factor using it that way. Just because  
6       we just don't have the date for each meter set over  
7       the 50 years that they've been in existence.

8       MR. ENNS: We've just got, like basically what's -- I  
9       think you guys use Iowa curve, and that type of thing,  
10       for your depreciation?

11       MR. GOSSELIN: Correct.

12       MR. ENNS: And that's just going to be for the class,  
13       right?

14       MR. GOSSELIN: Yes. Yes. Yes.

15       MR. ENNS: Thank you.

16       MR. GOSSELIN: Pooled assets, yes.

17                       Moving onto slide 28, again both the plant  
18       and the rate base are used to allocate delivery costs  
19       of service so they must be allocated first. So we  
20       just talked through some allocation of plant and rate  
21       base. The table below here shows a summary of the  
22       plant and rate base allocated to each of the rate  
23       schedules, each of FEI's rate schedules. So we went  
24       through a few examples and we allocated about -- that  
25       was about \$2 billion of the 4.5 billion in rate base.  
26       There's many many allocations that go on in the COSA

1 model that you can dig into. But this is the final  
2 result. And I showed you net plant and rate base,  
3 because we use both. And I'll show you a little bit  
4 later, when allocating the cost of service.

5 So on rate schedule 1, we'll just look at  
6 the rate base column in this case. Through all the  
7 allocations that are done, functualization,  
8 classification, allocation, rate schedule 1 was  
9 allocated \$2.5 billion of the \$4.5 billion in rate  
10 base. And so on down the rest of the rate schedules.

11 Slide 29, so once we've allocated our plant  
12 and rate base, we move on to allocating --  
13 functualizing, classifying and allocating our delivery  
14 cost of service.

15 Deliver cost allocation, slide 30. We  
16 have, from our test year, about 790 million -- from  
17 our test year, rather, plus adjustments, \$790 million  
18 in delivery costs that need to be allocated in the  
19 COSA. Depreciation expense embedded in the delivery  
20 cost of service generally follows the same allocation  
21 as plant.

22 The next slides, we're going to go through  
23 a summary of the key allocators. So the key  
24 allocators we use in the delivery cost of service  
25 allocation and the amount that we allocated with them.  
26 And then we're going to go through the details of

1 those allocations and then we're going to finish up  
2 there with a summary of the delivery cost allocation.

3 Okay. Big slide, big table. This is slide  
4 number 31. The table you see identifies six key  
5 allocators that are used in the COSA. Those six key  
6 allocators are aligned across the top and they are in  
7 bold. FEI uses other allocators as well, but these  
8 six are used to allocate approximately \$568 million of  
9 the \$790 million of delivery cost. So these six are  
10 used to allocate about 70 percent of our delivery  
11 costs.

12 Along the top we have a description of the  
13 allocators but I'm going to expand on them because  
14 they might not be precisely clear what they are.

15 Peak day demand. This is the daily demand  
16 that our rate schedule will require on a design day as  
17 described in section 6.3.6 of our application. For  
18 our heat sensitive rate schedules with firm demand,  
19 the peak day demand is based on a regression of  
20 consumption and temperature. We have an appendix that  
21 goes through that calculation. I can't recall the  
22 number of it at this point.

23 **Proceeding Time 10:08 a.m. T16**

24 For our larger industrial customers with  
25 contracted firm demand volumes, the contracted firm  
26 demand is used as the peak day demand so that these

1 customers are only allocated the costs based on their  
2 contracted level of service. So we want to make sure  
3 we're allocating to our larger customers what we have  
4 contracted to actually deliver them.

5 FEI uses this peak day demand allocator in  
6 the COSA model to allocate approximately \$193 million  
7 of our \$790 million cost of service.

8 The next allocator is distribution rate  
9 base classified as customer. As I mentioned in  
10 previous slides, both plant and rate base are  
11 allocated first and then the results are used to  
12 allocate the delivery cost of service.

13 This is basically a rate base allocator.  
14 Basically a result of the rate base allocation that we  
15 did in the first step. It's used to allocate \$121  
16 million of our delivery cost of service by using the  
17 results of the rate base functionalized as  
18 distribution and classified as customer.

19 The next allocator we use is average  
20 customers adjusted by the customer weighting factor  
21 for administration and billing. This allocator is  
22 used to allocate about \$92 million of our delivery  
23 cost of service and is simply the number of customers  
24 in each rate schedule adjusted by the ratios we  
25 discussed earlier when we discussed the customer  
26 weighting factor for administration and billing.

1                   The next allocator, number four in the  
2 columns, is distribution rate base classified as  
3 demand. So similar to distribution rate base  
4 classified as customer a couple of columns to the  
5 left. However, this uses the rate base classified as  
6 demand. The allocators used to allocate \$76 million  
7 of our delivery cost of service.

8                   The next column over, gross plant before  
9 general and intangible classified as demand.  
10 Basically it's the same as the allocator to the left,  
11 but instead of using the allocated rate base, it uses  
12 the allocated gross plant. This allocator is used to  
13 allocate \$51 million of the delivery cost of service.

14                   And then finally on the far right we have  
15 average customers adjusted by the customer weighting  
16 factor for services and meters. So similar to the  
17 average customers adjusted by the customer weighting  
18 factor for admin and billing, this is the one that's  
19 adjusted by the services and meters. We just talked  
20 through an example of that one when we allocated plant  
21 earlier.

22                   This allocator is used to allocate \$34  
23 million of the delivery cost of service. It's derived  
24 in the same way as the average customers for the admin  
25 and billing. However, it uses the factors that weight  
26 the cost of services and meters relative to rate

1 schedule 1.

2 The table shows the detail of the  
3 allocations to each of the rate schedules. The  
4 following slides are going to go into the details a  
5 little more.

6 Slide 32. So we'll go through each of  
7 those columns that we see in the summary table over  
8 the next six slides.

9 So \$193 million of our delivery cost of  
10 service is allocated using peak day demand. Most of  
11 these delivery cost of service come from our  
12 transmission and distribution functions. We classify  
13 them as demand and we use peak day demand to allocate  
14 them. The peak day demand in the table below for each  
15 rate schedule is in the second column there. You've  
16 probably seen before rate schedule 1 has a peak day  
17 demand of 635 TJs per day and so on down the list.

18 **Proceeding Time 10:13 a.m. T16**

19 The percentage on the right is using -- is  
20 just basically derived using those peak day demands  
21 over the total. And then the cost allocation of the  
22 \$193 million follows along. For rate schedule 1, 50.3  
23 percent of the 193 million is allocated to rate  
24 schedule 1 based on peak day demand. 97.2 million.

25 Slide number 33. Distribution rate base  
26 customer.

1 MR. ANDREWS: Before you move on --

2 MR. GOSSELIN: Yes?

3 MR. ANDREWS: If you wouldn't mind, I have a question.  
4 This is Bill Andrews. A question about slide 32.

5 MR. GOSSELIN: Yes, sir.

6 MR. ANDREWS: Using the example of the RS 1 class, peak  
7 day demand of 635.5, why does that not use the figure  
8 adjusted for the peak load carrying capacity shown in  
9 slide 26?

10 MR. GOSSELIN: So, there are many -- predominantly these  
11 costs come from transmission. There are some from  
12 distribution, but predominantly from transmission. We  
13 don't use the PLCC everywhere. We use the PLCC only  
14 on the costs, or the plant, that are there to serve  
15 the minimum system, so the distribution, plant, mains,  
16 basically.

17 So, when we split up the distribution plant  
18 mains, there's a customer and a demand component. So,  
19 it's used in that fashion to not double-allocate  
20 demand to any of the rate schedules.

21 So moving on from there, we also have  
22 demand-related costs in the transmission system. And  
23 the transmission system is there to serve the peak day  
24 demand. It's 100 percent peak day demand -- or,  
25 sorry, it's 100 percent demand related. So when it's  
26 100 percent demand related, there is no customer

1 component. So we're not trying to negate any double-  
2 counting that may have happened because we split it  
3 between customer and demand. So the transmission  
4 system costs are considered all demand-related. So we  
5 just use the entire peak day demand number of 635 to  
6 allocate those costs. Because we don't split it into  
7 customer and demand, there is no need to worry about  
8 double-counting between a minimum system and the  
9 balance.

10 So, I'm not sure -- I hope that answered  
11 your question.

12 MR. ANDREWS: Yes, that does answer my question, thank  
13 you.

14 MR. GOSSELIN: Okay.

15 On to 33. This is the second column from  
16 the summary table. Most of these costs are  
17 distribution related. We have 121 million point three  
18 -- or, \$121.3 million that have been classified as  
19 customer. And we use the distribution rate base  
20 classified as customer to allocate it. So, if you  
21 look in the COSA model, of course we allocate. We  
22 functionalize our rate base. We classify our rate  
23 base, and then we allocate the rate base.

24 So the portion that's classified as  
25 customers and allocated across the rate schedules,  
26 using various allocators, sums to, for rate schedule

1 1, \$1.2 billion. So the 1.2 -- so you'll see all the  
2 rate schedules have some allocation of distribution  
3 rate base classified as customer. So when you look at  
4 it all, it sums to \$1.4 billion. So when you take the  
5 \$1.2 billion that's been classified as customer, and  
6 allocate it to rate schedule 1, over the 1.4, you get  
7 82 percent -- 82.4 percent.

8 So 82.4 percent of the \$121 million is  
9 allocated to rate schedule 1. So this is a case where  
10 we use the pre-allocated rate base as a basis to  
11 allocate costs. Once again, that's why we have to do  
12 plant and rate base first.

13 Moving on to slide 34, this is the one  
14 where we use average customers adjusted for the  
15 customer weighting factor for administration and  
16 billing. Most of these costs come from our customer  
17 accounting function. So the amount is \$92.4 million,  
18 all that from the table we've seen earlier.  
19 Classified as customer, and allocated using the  
20 average customers adjusted by our customer weighting  
21 factor for admin and billing.

22 So we move to the table below. We see our  
23 rate schedules on the left, and we see the customers  
24 in the next column. Those customers again are the  
25 customers that we'll see in our test year that we  
26 bring into the COSA.

1 **Proceeding Time 10:18 a.m. T17**

2 And then the next column over is the weighting factor  
3 for admin and billing. So this recognizes that some  
4 customers cost more to administrate and create bills  
5 for. We'll take RS 3 for an example, because it's the  
6 first one that has the ratio that's higher than 1.0.

7 So we started with 5,000 customers in rate  
8 schedule 3. We recognized that they are about 120  
9 percent -- they are about 1.2 times more expensive to  
10 administer and bill than rate schedule 1, so we  
11 multiply it by 5040 by 1.2 to get 6,048 weighted  
12 customers. We derive the percentages using the  
13 weighted customers over the sum of the weighted  
14 customers. So rate schedule 3 is .5 percent. So of  
15 the \$92.4 million that are allocated using this  
16 allocator, rate schedule 3 picks up \$.5 million of it.

17 As you can see, rate schedule 1, which is  
18 our largest rate schedule, picks up -- or is allocated  
19 70.3 million of the 92.4.

20 Slide 35, this is the amount that we used  
21 distribution rate base classified as demand to  
22 allocate. So we have \$75.6 million of our delivery  
23 cost of service that are mainly distribution related  
24 costs, we've classified them as demand, and we're  
25 going to allocate them using the distribution rate  
26 base that's been classified as demand. So similar to

1 the side two slides ago, we have in the first column,  
2 the rate schedules. In the second column we have our  
3 distribution rate base that's been classified as  
4 demand and allocated to each of the rate schedules.

5 We use those amounts as ratios to develop  
6 our percentages, so \$452 million divided by a billion  
7 dollars gets you 44.8 percent. So 44.8 percent of the  
8 \$75 million is allocated to rate schedule 1 for a  
9 result of \$33.9 million of the 75.

10 The next slide, number 36, this will talk  
11 through the gross plant before general and intangibles  
12 classified as demand. So this is very similar to the  
13 last slide where we had a rate base classified as  
14 demand. This one actually just uses gross plant  
15 before intangible and generals classified as demand to  
16 allocate these costs. So these again are mainly  
17 distribution related costs. We have \$51 million  
18 there. They are classified as demand, and we use the  
19 results of our gross plant allocation to allocate  
20 these costs.

21 So on the left, rate schedules, second  
22 column over we have the allocation of gross plant to  
23 those rate schedules. From there we derive the  
24 percentage and apply that percentage to the amount of  
25 51 million, to get our allocations into each of the  
26 rate schedules. So of the 51 million, 24.5 million

1 was allocated to rate schedule 1.

2 Finally, onto slide 37, is where we use  
3 average customers weighted for service lines and  
4 meters to allocate costs. Again, these are  
5 distribution related costs. There's \$34 million of  
6 them. They've been classified as customer.

7 Our customers -- so I'll go through the  
8 table below. We have our rate schedules on the left.  
9 We have our customers from our revenue requirement,  
10 our test year. We have our weighting factor for  
11 services and meters, again recognizing services and  
12 meters for rate schedule 2 are about 1.7 times the  
13 costs of rate schedule 1.

14 **Proceeding Time 10:23 a.m. T18**

15 So we weight the customers based on those  
16 proportions, and create a percentage, an allocation  
17 percentage, to allocate the costs of 34 million that  
18 have been classified as customer to each of the rate  
19 schedules.

20 So finally on slide 38, we have a summary  
21 of our delivery cost allocation. So I talked to  
22 earlier, we have a delivery cost embedded -- in the  
23 COSA of \$790 million. You can see that at the far  
24 bottom right of the table. About \$12 million of that  
25 is classified as energy, meaning the need to deliver  
26 energy to our customers cause about \$12 million of

1 this delivery cost. The need to serve our customers  
2 on the peak day, the peak day demand that they require  
3 is -- we classify at about \$400 million of our costs  
4 to do that. And the fact that we had customers on the  
5 system that they joined the system, we've classified  
6 about \$378 million dollars of the \$790 as customer-  
7 related.

8 And then these are each of the allocations  
9 to each of the rate schedules. So you'll see rate  
10 schedule 1 in total was allocated 500 million -- 504  
11 million, of the 790 million. And as you've seen  
12 earlier, there is many classifications, or many  
13 methods -- or, not methods, but many costs that we go  
14 through the COSA model, that we have to functionalize,  
15 classify, and decide on an appropriate allocator, and  
16 it will allocate costs out, and we end up with these  
17 results right here.

18 So RS 1 is allocated about 64 million -- or  
19 64 percent of our total delivery costs of \$790.

20 Yes. Question.

21 MR. WEAFFER: Chris Weafer, Commercial Energy Consumers.  
22 And we're getting to the end of the presentation, I  
23 think, so thank you. It's been very clear and very  
24 effective.

25 What I understand from the prior workshops  
26 is that there has been no material changes in terms of

1       your approach to the steps within preparing the rate  
2       design application. There's been nothing material.  
3       This is the way you've done it in the past. You're  
4       consistent. It's been stable in the past, and so you  
5       see it as appropriate for this application. Is that a  
6       fair statement?

7       MR. GOSSELIN: I think that's a fair way to put it, yes.

8       MR. WEAVER: Or is there anything material that should be  
9       highlighted, where you've made tweaks that are --  
10       would affect revenue to cost ratios, would be  
11       something that should be highlighted or commented on,  
12       or you're satisfied that this is pretty much a "stay  
13       the course" approach.

14       MR. GOSSELIN: Yeah. I mean, we took into account the  
15       stakeholder feedback. I mean, the one thing that we  
16       did do a little differently is the allocation of our  
17       EEC amortization. However, it really doesn't -- it's  
18       small enough, it doesn't really make an impact to the  
19       rate -- the rate schedules, RCs, anyways.

20                But it's essentially very similar to what  
21       we've done in the past. I can't think of any big  
22       material changes that we made that are affecting  
23       anything in particular.

24       MR. WEAVER: And the follow-up question, and thank you  
25       for that, is the -- over time, when you've applied  
26       this to the rate classes, you've had fairly stable

1 results in terms of the revenue to cost ratios that  
2 fall out of this approach?

3 MR. GOSSELIN: From what I've seen, from the -- I've  
4 looked at some of the 2001 and '12 revenue to cost  
5 ratios. I know we didn't spend a lot of time in the  
6 COSA in 2012, but the methods were similar to that,  
7 and the revenue to cost ratios haven't really varied  
8 widely from what I've seen. I know we have some  
9 fellows that have been around quite a bit longer that  
10 may be able to speak to something from the '93-'96  
11 application. But from what I've seen, not a lot of,-  
12 you know, big variances in the revenue to cost ratios  
13 over the last couple of applications that we've put  
14 in.

15 MR. WEAFFER: Great, that's helpful. Thanks very much.

16 MR. GOSSELIN: Okay. Suzanne has a question?

17 MS. SUE: Hi. Suzanne Sue, Commission staff. I actually  
18 have a question regarding -- since the total delivery  
19 cost is \$790 million, only \$568 million are being  
20 allocated using the allocators, is the remaining \$22  
21 million direct assigned?

22 **Proceeding Time 10:28 a.m. T19**

23 MR. GOSSELIN: No. There is -- I've tried to pick the  
24 big ones, the top ones that would kind of show just  
25 about -- show much of the allocations, but there's --  
26 we have probably 30 or so allocators that we use in

1 the COSA model. Some of them -- you know, as we get  
2 down the list we'll allocate a little bit less and  
3 less and less. So I picked the top six biggest ones,  
4 just to go through as examples in here. So no, the  
5 rest of the costs are not allocated directly. We use  
6 other allocators in the COSA model to do so.

7 MS. SUE: Do you know what percentage if any of your --  
8 well, you will know -- of any of the costs do you use  
9 direct assignment?

10 MR. GOSSELIN: I don't know the percentage, no. I know  
11 -- I can speak to we did direct assign rate schedule  
12 46 costs from -- or we did direct assign Tilbury  
13 expansion cost of service directly to rate schedule  
14 46. That net after revenues and costs was about 7  
15 million short, but the cost themselves are about \$40  
16 million that we direct assigned to rate schedule 46,  
17 plus offset by the revenues.

18 And we also did do some direct assignment  
19 for meters and services for our industrial customers.  
20 I don't recall the percentages of those, though. But  
21 not a lot of our costs in the cost of service are  
22 direct assigned. Most of them are allocated using the  
23 various allocators we have.

24 MS. SUE: Okay, thank you.

25 MR. GOSSELIN: You're welcome.

26 So I think this is a good time to take a

1 break. The next few slides talk about, basically, the  
2 summary COSA results and might be good for about a  
3 ten- or fifteen-minute break. Fifteen? Ten is good?  
4 So let's come back at 10:40.

5 **(PROCEEDINGS ADJOURNED AT 10:30 A.M.)**

6 **(PROCEEDINGS RESUMED AT 10:45 A.M.)** **T20/21**

7 MR. GOSSELIN: All right. Moving on to slide number 39.  
8 So, we're going to talk a little bit about the summary  
9 of the COSA results.

10 The next couple of slides are simply  
11 basically putting in a different perspective the  
12 slides -- or rather the schedules you'll see in the  
13 appendices. First I'll cover a summary of the three  
14 steps of the cost of service allocation. And then  
15 we'll move on to the revenue to cost ratios before  
16 proposals and rebalancing.

17 Slide number 40. We have three tables on  
18 here. They essentially show the summary of the class  
19 -- functionalization, classification and allocation.  
20 The upper left table on the sheet here shows the  
21 functionalization of the delivery costs. Tilbury  
22 expansion is functionalized as storage, so it's  
23 embedded in the storage function, as I noted earlier.

24 Transmission and distribution together are  
25 allocated about -- or functionalized about 81 percent  
26 of the delivery costs. So when you look at

1 transmission and distribution, that represents about  
2 81 percent of the total delivery costs of our system.

3 The next table would be the table on the  
4 lower left. And this shows the results of our  
5 classification. So about 51 percent of FEI's delivery  
6 costs of service is caused from demand placed on the  
7 system and about 48 percent of it is caused from a  
8 customer being on the system.

9 And then the table on the far right is the  
10 final cost allocations by rate schedule. And you'll  
11 see the costs themselves are allocated down the middle  
12 column piece, and then the percentage of those costs  
13 is on the right.

14 These tables are basically just a different  
15 look at the schedules you'll find in the appendices in  
16 the application.

17 Slide 41 shows our revenue to cost ratios  
18 before our rate design proposals and any rebalancing.

19 The lower part of the table, you'll see  
20 it's split into two. It shows RS 4, rate schedule 4,  
21 rate schedule 7/27, and rate schedule 22  
22 interruptible. These rate schedules do not drive  
23 system capacity because they are interruptible. Rate  
24 schedule 4 is interruptible in the winter-time, but  
25 not so in the summer.

26 Since they don't drive any system capacity,

1 they're really -- they're not allocated any demand-  
2 related costs. Remember, about half of our system is  
3 demand-related costs. They're not allocated any of  
4 these demand-related costs because they are  
5 interruptible when demand is at its peak, or on a  
6 design day. So, when it's cold, and we need the  
7 capacity that they are taking, we interrupt them.

8 The charges within these rate schedules are  
9 not set using the allocated costs from the COSA but  
10 rather they're set at a discount to our firm rate  
11 schedules. So that's why their revenue to cost,  
12 margin to cost ratios, seem so out of whack. They're  
13 not allocated any demand cost, but their rates are set  
14 based on our firm demand -- or firm rate schedules.

15 So the upper part of the table, except for  
16 rate schedule 6 and 22A, all the revenue to cost  
17 ratios are very nearly within the 95-105 range, and  
18 the margin to cost ratios are within the 90 to 110  
19 range. This is an indication that the revenues  
20 collected from each of these rate schedules is closely  
21 aligned with the costs caused by those rate schedules.

22 Bill?

23 MR. ANDREWS: Can you explain a little more about that  
24 marginal cost ratio --

25 MR. GOSSELIN: Is derived?

26 MR. ANDREWS: Yes.

1 **Proceeding Time 10:50 a.m. T19**

2 MR. GOSSELIN: So, the revenue to cost ratio is all the  
3 delivery costs plus all the gas that they would --  
4 that a customer would pay us. So that's the revenue  
5 side. And the allocation, the cost side, is the  
6 allocated side plus the cost of the gas that they  
7 would buy from us. So the gas in the revenue part and  
8 in the cost is the same amount. So on the RC So on  
9 the MC we actually just strip out the gas piece. So  
10 it's the delivery cost of delivery revenue -- rather  
11 the delivery revenue we get from a customer -- so for  
12 rate schedule 1 it would be the sum of their basic  
13 charge and their delivery charges for the year in  
14 particular -- divided by the allocated cost, the  
15 allocated delivery cost not -- stripping out all gas  
16 and storage and transport costs.

17 MR. ANDREWS: So earlier on in the presentation you were  
18 talking originally about the whole revenue  
19 requirement, and then you said that for now on we'll  
20 just be talking about the delivery cost portion to do  
21 with the revenue cost ratio. Here you've brought back  
22 in the commodity cost and storage and transportation  
23 when you're displaying the revenue cost ratio. But  
24 you've taken it out again when you call it the  
25 marginal cost.

26 MR. GOSSELIN: That's correct. The cost of gas is out

1 for the margin to cost calculation.

2 And to clarify, the reason why I described  
3 it earlier as such, because the COSA model and what  
4 we've been talking through, is allocating the delivery  
5 cost of service, but ultimately in the end we'd like  
6 to look at the revenue to cost ratios, because  
7 ultimately people pay for gas and it's a part of their  
8 cost as well. So it's important to look at both the  
9 revenue to cost ratio and the margin to cost on the  
10 delivery side of things.

11 MR. ANDREWS: So why do you apply the range of  
12 reasonableness, the 95 to 105 to the revenue cost  
13 instead of to the margin cost? I think you just  
14 addressed that, but maybe you could elaborate.

15 MR. GOSSELIN: I think it's standard practice to look at  
16 the entire revenue that a customer would pay versus  
17 their entire costs. So that's why we do it. You  
18 could look at either one for reasonableness. Either  
19 the RC or the MC.

20 MR. ANDREWS: Okay, thank you.

21 MR. BYSTROM: Could you just clarify what the range of  
22 reasonableness is that we use?

23 MR. GOSSELIN: The range of reasonableness that we've  
24 used is 90 to 110 as we've described in the  
25 application.

26 MR. WEAVER: Chris Weafer, Commercial Energy Consumers,

1 and Chris has kind of gone where I wanted to go. And  
2 this is a workshop, so it's not the time for the  
3 debate of the range of reasonableness, so I don't want  
4 to put you on the spot at all. But there is a concept  
5 that -- I'm not sure if you're the person to address,  
6 but just to throw it out there. We've got similar  
7 ratios on the BC Hydro side of the equation and BC  
8 Hydro has some legislative constraints.

9 But there's another difference with Fortis  
10 in that what you're selling is gas. We've got in this  
11 jurisdiction now clean energy legislation that is  
12 pretty significant and is a change since you first  
13 come up with these models back in 1991.

14 And so, at a high level, when Fortis looks  
15 at these revenue to cost ratios, does it factor in the  
16 appropriateness of sending the right price signal to a  
17 customer for paying for what is non-clean energy,  
18 which is gas?

19 MR. GOSSELIN: Well, those would be more rate design  
20 question rather than the cost of service allocation  
21 questions. I'm trying to think of a way to address it  
22 though.

23 MR. WEAFFER: Well, let me try it another way, because  
24 that's not my intent. We're talking about what's  
25 reasonable and a factor in what's reasonable in  
26 sending the appropriate price signal to a customer if

1 they're burning non-clean energy and the idea that  
2 they would pay the actual cost of service would be  
3 something that would be reasonable in that  
4 environment.

5 So it's not for debate now, I just -- I  
6 wanted to throw it out there, because again the  
7 commercial customers see similar ratios with Hydro.  
8 There we are more constrained. Here we are obviously  
9 going to take a bit more issue with it, and I just  
10 want to put that out there as you assert these are  
11 reasonable ranges. We don't agree. So I can leave it  
12 at that. Now is not the time for debate, but I just  
13 wanted to make sure the seed was planted.

14 **Proceeding Time 10:55 a.m. T23**

15 MR. GOSSELIN: Okay, thank you. Moving onto slide 42.  
16 Now we get to do it all again for Fort Nelson.

17 So for Fort Nelson we bring in the test  
18 years as well. For Fort Nelson the test years are  
19 2018 costs from our 2017-18 approved revenue  
20 requirement. The approval was just last year. And so  
21 we have approved costs for 2018 that we bring in and  
22 allocate in our delivery costs -- in our COSA model.  
23 So the delivery costs we bring in again are based on  
24 the 2018 forecasted delivery costs in the 2017-18  
25 revenue requirement for Fort Nelson.

26 For Fort Nelson we also have a couple of

1 adjustments that we make in the COSA to the test year,  
2 and we'll talk through those adjustments in the next  
3 couple of slides.

4 So in our test year, in our revenue  
5 requirement for Fort Nelson, we had forecast two Rate  
6 Schedule 25 customers. So embedded in Rate Schedule  
7 25 in the revenue requirement for the test year we had  
8 two Rate Schedule 25 customers. One of those Rate  
9 Schedule 25 customers has since moved to Rate Schedule  
10 -- or Rate 2 -- 2.1 rather. There was zero volume for  
11 this customer in Fort Nelson. However, there were  
12 revenues embedded in the revenue requirement based on  
13 their minimum charges. In the revenue requirement  
14 their minimum charges were based on the Rate Schedule  
15 25 minimum charges, which are different than those  
16 that they're paying today under Rate 2.1.

17 So we made an adjustment in the COSA for  
18 the difference in revenue that we would collect from  
19 this customer now that they're under Rate 2.1, and the  
20 difference is \$24,000 less revenue that we'll collect  
21 for them -- that we put embedded into the COSA.

22 We also for this customer use a load factor  
23 -- sorry, we use a load factor for the RS 25 customer  
24 that's still an RS 25 customer, Fort Nelson, of 40  
25 percent. Rate Schedule 25 in Fort Nelson is designed  
26 for customers with load factors, you know, greater or

1 equal to 40 percent, similar to the Rate Schedule 25  
2 design that we have for customers in FEI.

3 So what we're finding is that customer up  
4 there is not your typical Rate Schedule 25 customer  
5 right now. They're under some business constraints  
6 that they're really not what would consider a typical  
7 Rate Schedule 25 customer. However, for allocation  
8 purposes in the COSA we felt it was reasonable to use  
9 a 40 percent load factor, which is kind of the bottom  
10 end load factor that would be used -- that we would  
11 assume a Rate Schedule 25 customer in Fort Nelson  
12 would have. So we use that for allocation purposes in  
13 the COSA.

14 Also for Fort Nelson, the revenue  
15 requirement has a single line item called Shared  
16 Services. That represents all the O&M allocated to  
17 Fort Nelson from FEI except for distribution O&M in  
18 Fort Nelson which is directly forecast. So 532,000 of  
19 shared services allocated from FEI represents all the  
20 O&M except distribution O&M in Fort Nelson.

21 In the COSA, the shared services amount of  
22 532,000 is split into parts based on FEI's O&M  
23 percentage. So use the same percentages that we use  
24 to split FEI's O&M up into an activity view and apply  
25 it for Fort Nelson. Now, of course we don't include  
26 the storage piece, they don't have any LNG storage in

1 Fort Nelson, but essentially we use the same  
2 percentages to split up the \$532,000 single line item  
3 into component parts for functionalization,  
4 classification and allocation purposes in the COSA  
5 model for Fort Nelson.

6 And of course for Fort Nelson we also have  
7 supporting studies, as we do for FEI. We have a  
8 minimum system study and a PLCC adjustment, and we  
9 also have a customer weighting factor for Fort Nelson.  
10 Both of those studies are used in the same way that we  
11 use them for FEI. We use a minimum system to help  
12 split up our distribution mains and system into  
13 customer and demand components.

14 **Proceeding Time 11:00 a.m. T24**

15 And we use the customer weighting factors, recognizing  
16 that some customers cost more to administer and  
17 connect than others.

18 The minimum system for Fort Nelson -- this  
19 is slide number 48. Again, this recognizes that the  
20 distribution system's in place to serve, in part,  
21 because a customer connected, and in part to serve a  
22 demand -- a peak day demand. There is 116 kilometres  
23 of distribution mains in Fort Nelson. When priced at  
24 our minimum of 60 millimetres poly, the value of the  
25 distribution mains comes in at \$11.6 million -- or  
26 sorry, \$5.3 million.

1                   When compared to the value of the  
2                   distribution mains at their weighted cost, meaning  
3                   that they're different diameters, of \$11.6 million, we  
4                   have a minimum system for the distribution mains for  
5                   Fort Nelson of 46 percent. Meaning 46 percent of  
6                   distribution mains cost is classified as customer, and  
7                   54 percent is classified as demand-related.

8                   And we use a PLCC adjustment as we do in  
9                   FEI, and it's equal to FEI's PLCC of .205 gigajoules  
10                  per day per customer.

11                  Suzanne?

12 MS. SUE:    Hi, Suzanne Sue, BCUC. Can you tell me why  
13                  you're using the FEI average PLCC adjustment factor  
14                  for Fort Nelson?

15 MR. GOSSELIN: We did the PLCC calculation on the system  
16                  as a whole, the entire system in the Mainland. So the  
17                  Mainland and Fort Nelson all put together, to  
18                  calculate the PLCC. So that's why we use the 205 in  
19                  both FEI and Fort Nelson.

20 MS. SUE:    Can you explain why you didn't do a separate  
21                  number for it? Because they are two different service  
22                  areas.

23 MR. GOSSELIN: I think just basically felt it was  
24                  reasonable to do it as an entity as a whole.

25 MS. SUE:    Okay, thank you.

26 MR. GOSSELIN: Thank you.

1                   For Fort Nelson, we also have the customer  
2 weighting factor study that we do for meters and  
3 services. And we have the customer weighting factor  
4 that we use for administration and billing. Again,  
5 their weighting is relative to rate schedule 1. So,  
6 for rate schedule 2.1, you'll see their meters and  
7 services are about 1.6 percent -- or 1.6 times the  
8 cost of rate schedule 1, And so on. And for admin and  
9 billing, they're similar to -- they are actually equal  
10 to the same factors that we use for FEI, because it is  
11 the same group that administers and bills Fort Nelson  
12 customers.

13                   On to slide 50. So, similar to FEI, we  
14 have to allocate plant and rate base for Fort Nelson  
15 first, because it's used as an allocator for much of  
16 the -- many of the costs in the delivery cost of  
17 service.

18                   Slide 51, we see that we have a rate base  
19 for Fort Nelson of about \$11.2 million. The  
20 allocation methods that we use in the COSA model are  
21 very similar or equal to the FEI allocation methods.  
22 On the left we have a pie chart similar to the one we  
23 had for FEI that shows you our rate base, categorized.  
24 So we have about half of Fort Nelson's rate base, is  
25 transmission plant assets. Nearly -- you know, nearly  
26 a half of the balance of it is distribution plant

1 assets. And then we have general and intangibles,  
2 making up basically the balance of rate base.

3 **Proceeding Time 2:25 p.m. T25**

4 So those are the assets that make up the  
5 bulk of the rate base for Fort Nelson. And then on  
6 the right we have the summary of the plant and rate  
7 base allocations for Fort Nelson.

8 So I'm not going to step you through many  
9 of the alloca- -- all the allocations that we did for  
10 FEI because they are really basically the same for  
11 Fort Nelson, it's just applied to a different cost  
12 base.

13 For rate schedule 1 we have a rate base  
14 allocated to the of 5,967,000 or the 11 million 228.

15 MR. HACKNEY: Rick, Tom Hackney here. Can you remind me  
16 how many customers you have in Fort Nelson?

17 MR. GOSSELIN: In Fort Nelson we have 2,500 or  
18 thereabouts. About 2400 I believe, Tom.

19 MR. HACKNEY: Thank you.

20 MR. GOSSELIN: Slide 52 is the delivery at cost  
21 allocation summary for Fort Nelson. Fort Nelson has a  
22 \$2,489,000 delivery cost of service that we allocate  
23 in the COSA model for Fort Nelson. As mentioned  
24 earlier, depreciation expense embedded in a delivery  
25 cost of service follows the same allocation as plant.  
26 So wherever plant is allocated, the expense or the

1       depreciation expense is allocated as well.

2                   And then we have a summary below, at the  
3 bottom of the slide, that shows the summary of the  
4 delivery cost allocation similar that I showed for  
5 FEI, where we have a \$19,000 of their revenue  
6 requirement is classified as energy, and \$1.3 million  
7 of it is classified as demand, and \$1.1 million of  
8 their \$2.4 million revenue requirement is classified  
9 as customer.

10                   You'll see rate schedule 1 is allocated  
11 about 1.4 million of their \$2.14 million revenue  
12 requirement in the cost of service allocation model.  
13 That's about 56 percent of their total delivery cost  
14 of service.

15                   Again, for -- we're onto slide 53. We're  
16 going to talk a little bit about the summary of the  
17 COSA results for Fort Nelson, the same way as we did  
18 about FEI.

19                   Slide 54 we have an upper left table that  
20 shows the functionalization of the delivery cost of  
21 service. There's no storage function for Fort Nelson,  
22 so you won't see that in the list. Transmission and  
23 distribution together are allocated about 93 percent  
24 of the delivery cost of service. So a lot of their  
25 costs are functionalized as transmission and  
26 distribution.



1                   In the BC Hydro cost of service allocation  
2 context, there has been a suggestion that instead of  
3 using an average cost of service concept there should  
4 be the use of a marginal cost of service concept. Am  
5 I right that Fortis's cost of service approach is  
6 entirely on an average cost basis and the use of the  
7 term "margin" in that ratio does not reflect the  
8 concept of a marginal cost of service analysis?

9 MR. GOSSELIN:    You're correct. The term "margin" doesn't  
10 refer to a marginal cost of service. We use a  
11 historical embedded cost when we do our allocations  
12 not a marginal cost approach. So the margin --

13 MR. ANDREWS:    Thank you. I should have said "embedded"  
14 instead of "average".

15 MR. GOSSELIN:    Yes, exactly, yes.

16 MR. ANDREWS:    Thank you.

17 MR. GOSSELIN:    Are there any other questions about the  
18 cost of service allocation for FEI and Fort Nelson?  
19 Yes, Chris.

20 MR. WEAFFER:    Just the same question I had earlier. In  
21 terms of what you're seeing as those revenue to cost  
22 ratios for Fort Nelson, are they also what you would  
23 have seen historically, that there's been no changes  
24 in how you've allocated under Fort Nelson, and if you  
25 look back in time these would be roughly the revenue  
26 to cost ratios that would have existed there?

1 MR. GOSSELIN: They are similar to what we've seen in the  
2 2012 when we did our amalgamation application, I  
3 believe. But further back than that, I don't know  
4 when the last time we did a COSA for Fort Nelson.

5 Ed, do you have some history on that?

6 MR. MOORE: As part of an IR in the revenue requirement,  
7 I think it was about in about 2004, we prepared a COSA  
8 then. Back in -- previous to that there was one done  
9 in '93 but was never filed because Fort Nelson didn't  
10 become part of the Phase B rate design, and so you  
11 really don't have kind of like a history like you've  
12 got in FEI for comparative for the COSAs. It just  
13 doesn't happen.

14 I think really what you've got to rely on  
15 is what Rick was saying, is we did one in 2012 as part  
16 of the postage stamp application.

17 MR. WEAFFER: It's also been stated from that one to this  
18 one, the percentages are (inaudible).

19 MR. GOSSELIN: Between 2012 and this one? I think the RS  
20 25 changed a little bit because of the nature of  
21 what's happening to that customer in Fort Nelson, but  
22 I believe it's fairly stable.

23 MR. WEAFFER: And I'm just trying to confirm that what  
24 you're doing is accurate and stable. I'm not  
25 challenging it.

26 MR. GOSSELIN: No, I understand.

1 MR. WEAFFER: What I'm hearing is that for the overall  
2 utility and for Fort Nelson, the revenue to cost  
3 ratios have stayed fairly stable over a shorter period  
4 of time on evidence based for Fort Nelson, a longer  
5 period of time on the overall utility. You're  
6 satisfied that the approach is robust and the  
7 percentages don't change materially.

8 MR. GOSSELIN: I'm satisfied that the approach we took  
9 definitely follows industry practice and for FEI  
10 certainly, you know, very similar to past COSA models  
11 and logically, I mean, the same approaches applied to  
12 Fort Nelson would make sense considering it's a gas  
13 utility that we have experience in running and we  
14 understand the cost embedded within that gas utility.

15 So using a similar approach for Fort Nelson  
16 is logical considering our system knowledge and  
17 industry practice. Like I said as far as consistency  
18 and results for Fort Nelson, I honestly can't speak to  
19 it precisely up here, because I don't really recall  
20 finding those COSAs for '04 and '96.

21 MR. WEAFFER: That's fine. No, thanks very much.

22 MR. TOKY: Are there any other questions that we have on  
23 this part?

24 MR. GOSSELIN: We will talk a little later about the  
25 results on the COSA after rate design proposals and  
26 some rebalancing approaches that we've considered. So



1 Mehrazma. You can call me Rouz if it's any easier.  
2 And today, hopefully, I will present you a brief  
3 summary of FEI's rate design proposal for residential  
4 rate schedule, or rate schedule 1, or RS 1.

5 But before I start, let's see where we are  
6 at this point of presentation. So we have a very good  
7 comprehensive review of the COSA. The costs are now  
8 allocated to each rate schedule, and the question that  
9 we have in front of us right now is, how are we going  
10 to collect those costs from each rate schedule?

11 Now, to answer that question, we need to  
12 consider multiple items. Customer characteristics  
13 specific to that rate schedule is one. Rate design  
14 considerations, such as for example Bonbright  
15 principles, rate design and rate impact analysis.  
16 Maybe customer feedback. Maybe government policies.  
17 Jurisdictional comparisons. Whatever it's relating  
18 and appropriate. So with that, with that  
19 introduction, I will invite you to go to the next  
20 slide. It's slide number 58.

21 So who is a rate schedule 1 customer? Rate  
22 schedule 1 customers include single family residences,  
23 separately metered single family townhouses, row  
24 houses and apartments. So it is important to note  
25 that if you are a residential apartment, like the one  
26 that we have in here, Yaletown, that you are not

1 individually metered, and that the natural gas bill is  
2 paid by the strata, and you are not any more under  
3 rate schedule 1. More probably served under schedule  
4 3-23 or 5-25, but not 1.

5 Based on this definition, about 91 percent  
6 of all of our customers are in this rate schedule.  
7 That's close to 900,000. Now, this is an important  
8 number because when you are dealing with 900,000  
9 customers, with different backgrounds, then it is very  
10 important that you make sure that everybody  
11 understands the rates. So the simplicity of the rates  
12 is essential, and it's also important that a majority  
13 of customers accept the rate.

14 We can also see that 35 percent of our  
15 total throughput is -- belongs to rate schedule 1.  
16 And the revenue is about 59 percent. Now, this is  
17 revenue, so it includes cost of gas. But if you look  
18 at the margin, it's not that different. It will be  
19 less, but not that different.

20 You can also see the two graphs that we  
21 have here. One is customer mix. So SFDs, or single  
22 family dwellings, are the biggest portion of our  
23 customer base for residential rate schedule. But this  
24 has been changing a little bit during the recent  
25 years. The trend is towards more multi-family  
26 dwellings and less SFDs. However, as I told you, some

1 of these new MFD, new high rises, they are not  
2 individually metered, so they're not going to be  
3 served under rate schedule 1.

4 The other one is end use. 64 percent of  
5 natural gas used for residential rate schedule is --  
6 belongs to space heating, followed closely by -- not  
7 closely, actually, but followed by water heating and  
8 other natural gas uses.

9 Yes?

10 MR. HACKNEY: In regard to the gas used in -- under  
11 commercial rates for condominiums and apartments, do  
12 you have just a rough sense of how much that energy  
13 consumption is?

14 MR. MEHRAZMA: I don't. I don't think we have separated  
15 residential apartments in rate schedule 3-23 from the  
16 rest. I don't think we have done that. Maybe it's  
17 something you can look into. I don't know.

18 **Proceeding Time 11:21 a.m. T28**

19 MR. GOSSELIN: Tom, that would be a question that would  
20 probably be best for the IR process. It'll require  
21 some digging in to get that.

22 MR. HACKNEY: Okay, thank you.

23 MR. MEHRAZMA: Yeah. And so the order here is like  
24 cooking and, you know, decorative fireplaces,  
25 barbecues, stuff like that.

26 Let's go to slide number 59. Here you have

1 the normal distribution function for the 2016  
2 residential consumption. You can see that it's a  
3 normal distribution with its beautiful Bell curve and  
4 slightly skewed to the right. And the red line is the  
5 S curve, which is the cumulative distribution function  
6 for the normal distribution.

7 Now, about 10 percent of our customers, if  
8 you look at the cumulative S curve, you will see that  
9 10 percent of our customers consume less than 28, 11-  
10 10 percent, less than 30 GJ per year, based on 2015  
11 normalized consumption. And on the other side about  
12 10 percent consume more than 140. I should also  
13 mention that this excludes the outliers. So we have  
14 defined outliers as anything above the 99<sup>th</sup> percentile.

15 The residential use per customer. So it is  
16 well known that during the last couple of years we  
17 have had declining use per customer for residential  
18 customers. Indeed in the last ten years the UPC has  
19 declined by more than one percent each year on  
20 average. So this is one of the -- probably if you  
21 want to compare now with 2001 of the biggest  
22 differences for residential rate.

23 With this three slide I will conclude my  
24 comments on the customer characteristic section. I  
25 think it is enough for us to get into the actual  
26 discussions and analysis, but I invite you to go and

1 check the application section 7.2 for more detailed  
2 information.

3 Slide number 61. So we have reviewed the  
4 customer characteristics. Let's talk about customer  
5 feedback. We did retain the services of Sentis  
6 Research, which is an independent B.C. based,  
7 Vancouver-based research company, not a utility, and  
8 they did two questionnaires for us. One for Fort  
9 Nelson and one for FEI, obviously because they have  
10 different rate structures. But there are also common  
11 questions between the two.

12 The survey had three main areas of focus.  
13 One was understanding of current rates and bill  
14 components. Two was preferences regarding rate design  
15 concentrations and also the last one was assessment of  
16 rate structures based on customers' understanding.

17 So on the first topic I can tell you that  
18 about 84 percent of our customers responded that they  
19 understand how their bill is calculated, either very  
20 well or somewhat well. This is a good number when  
21 you're dealing with 900,000 customers. Obviously this  
22 is not -- this is a statistic, so it's statistically  
23 significant enough.

24 Also we asked them, we defined the  
25 individual component of their bills and we asked them  
26 if they understand each one, if they understand what

1 is basic charge there and do you understand what is  
2 midstream, do you understand, you know, taxes and  
3 levies and the rest. And in total about 72 percent of  
4 FEI respondents indicated that they understand all  
5 components of the bill very well or somewhat well.

6 **Proceeding Time 11:26 a.m. T29**

7 Now, going to the second topic, preferences  
8 regarding rate design concentrations, we wanted to  
9 know how our customers think with regards to rate  
10 design principles and we wanted to understand their  
11 preferences. So we asked them to rank different rate  
12 design principles. The results was that the  
13 simplicity of the rates was the most important rate  
14 design principle from their point of view. The rest  
15 of the rate design principles were rated a little bit  
16 less. Not a little -- but all of them were almost the  
17 same level. So at the top was, the most important was  
18 simplicity and then the rest were rated almost at the  
19 same level.

20 The last topic is about the assessment of  
21 rate structures. So on this subject we first define  
22 different rate structures to the respondent. So we  
23 define them, what is flat rate, what is declining  
24 block rate, what is inclining block rate, and then we  
25 ask the respondents to rank each rate structure  
26 relative to rate design principles. So for example,

1 the question was like this: Which one of the rate  
2 design options would result in the most stable natural  
3 gas bill month to month? Rate stability principle.  
4 And we asked them to rank.

5 The result was as follows. So again, flat  
6 rate was, from their perspective, was the easiest to  
7 understand. Also it was the most stable, and also  
8 that received the highest score for economic fairness,  
9 interestingly.

10 The only principle that flat rate didn't  
11 score better than the rest was on efficiency  
12 principle. So promoting efficiency, and that was the  
13 inclining block rate which scored better. So this  
14 shows that actually our customers understand on the  
15 rate structures and the rate design principles pretty  
16 well, I would say.

17 Again, the detailed version of service  
18 methods and results can be found in appendix 4-5 and  
19 you can ask from Sentis themselves in the IR process  
20 any questions that you have on the specific issues  
21 related to the survey.

22 Let's go to slide number 62. So, we now  
23 know that customers prefer flat rate, you know, in  
24 general based on the survey results. What about other  
25 rate design considerations?

26 So ease of understanding and

1 administration, and this is relative to other rate  
2 structures that we defined and evaluated in the  
3 application, including the declining block rate,  
4 inclining block rate and seasonal rate. Flat rates  
5 was easiest to understand for sure. Because there is  
6 this understanding, it will probably lead to more  
7 customer satisfaction and less cost pressures.

8 On the issue of economic efficiency and  
9 economic fairness, we can say that relative to other  
10 rate structures, flat rates are -- flat rates can be  
11 considered a neutral option. Why? Because they do  
12 not really, you know, promote any specific kind of  
13 consumption. They don't promote -- or they don't  
14 discourage or encourage you to consume in a specific  
15 way compared to other rate structures.

16 Flat rates, for sure, will lead to better  
17 rate stability and less bill impact. Because if you  
18 want to transition from the current flat rate that has  
19 been in place for close to 20 years, and you go to any  
20 other rate structures, then you will have -- first of  
21 all you will have additional cost, like billing costs  
22 and stuff like that, but also obviously there are  
23 people who will be impacted by this transition.

24 **Proceeding Time 11:31 a.m. T30**

25 Depending on how you want to implement it,  
26 depending on where the threshold, for example, for a

1 declining or inclining block rate would be, there  
2 would be a huge number of people that can be impacted  
3 by a transition from flat rate to any other rate  
4 structure.

5 And finally we will review this a little  
6 bit more later, but the majority of Canadian  
7 utilities, natural gas utilities, use flat rate for  
8 their residential rate class.

9 So based on all of these considerations, we  
10 believe that the existing flat rate provides the best  
11 balance among competing rate design principles, and we  
12 propose to maintain the current flat rate as it is.

13 So now I'm on slide 63. So the next couple  
14 of slides is going to address the issue of fixed  
15 charges versus variable charges. And we are going to  
16 review this from two opposing views. One for increase  
17 in basic charge relative to variable charge,  
18 volumetric charge, and one against it. Because there  
19 are competing rates, I suppose, on this issue.

20 So, in this slide, we compared the fixed  
21 costs, right from COSA model, with current fixed  
22 charges. The current fixed charge is in the form of a  
23 daily basic charge it has, but here for analysis  
24 purposes we have a conversion to a monthly basic  
25 charge of \$11.84 per month, as it is today.

26 Now, in the second column there, you know,

1       you have the unit costs based on COSA results. The  
2       \$27.1 dollar per month is basically calculated like  
3       this. So if you take the customer -- the costs that  
4       were classified as customer related in the COSA, and  
5       then you divide, and for rate schedule 1, and then you  
6       divide that by number of customers in rate schedule 1.  
7       And then you divide that by 12, and you get to \$27.1  
8       per month per customer.

9               Now, if you divide \$11.84 per month, which  
10       is our current, you know, basic charge, by 27.1, you  
11       will get 44 percent. Which that basically means that  
12       the current basic charge recovered is about 44 percent  
13       of the customer attributed cost for rate schedule 1.

14               Now, the question is this here, is this.  
15       Is it fair or not? That it's only 44 percent.  
16       Remember I told you that about 10 percent of our  
17       customers consume less than roughly 30 GJ per year.  
18       That basically means 10 percent of the customers, if  
19       you calculate, you know -- if you calculate the  
20       monthly bill that they pay, that 10 percent of  
21       customers do not even pay their customer-related  
22       costs, forget about the demand part. They do not pay  
23       \$27 per month. So, that's a question.

24               It's also important to note that since  
25       2009, the basic charge has remained unchanged. So,  
26       and that was because of the negotiated settlement part

1 of the 2010/2011 revenue requirement. And in  
2 alignment with energy policies of the government at  
3 the time, the basic charge was fixed at 2009 levels.  
4 Obviously, you know, it was just after the 2007/2008  
5 policies that in 2008 the carbon tax was introduced,  
6 and so on. So it was in alignment with all of those  
7 policies.

8 Now, in the next slide, I will review with  
9 you what has been the impact of keeping the basic  
10 charge constant.

11 Here you have the impact of delivery rate  
12 increases -- on slide 64, by the way. Here you have  
13 the impact of delivery rate increases on the delivery  
14 portion of annual bill. For the customer with 25 GJs  
15 year consumption, it costs them about 85 GJ per year  
16 consumption and it cost them 145 GJ per period  
17 consumption.

18 **Proceeding Time 11:36 a.m. T31**

19 Now, just look at the trend lines here and  
20 look at the slope of the trend lines. You can see  
21 that the slope for 145 GJ per year customer is much  
22 more than the slope of trend line for 25 GJ customer.  
23 To put that in terms of percentages, the delivery  
24 margin charged from 2009 to 2016 has -- sorry, the  
25 delivery margin increase from 2009 to 2016 has been  
26 about 16 percent for 25 GJ customer, 30 percent for 85

1 GJ customer and 36 percent for 145 GJ customer.

2 So the question is how does this align with  
3 fairness principle and cost causation. The service  
4 that the guy who was 145 in 2009 is the same service  
5 that they are receiving today, but they are -- by  
6 holding basic charge constant, higher use customers  
7 are bearing greater share of delivery margin  
8 increases.

9 This is the last slide for the pro basic  
10 charge increase. It is a jurisdictional comparison  
11 that we have done. As I told you earlier about the  
12 majority of natural gas utilities use a flat rate for  
13 the residential rate schedule, as you can see.

14 The Y axis represents the percentage of  
15 monthly fixed charges to total delivery charges based  
16 on monthly consumption of 7.5 GJ per month. So about  
17 90 GJ per year. And we did that to be able to compare  
18 them in a different basic charges in a more meaningful  
19 way.

20 Now, maybe it will be interesting for you  
21 to know that four utilities here actually do not have  
22 a separate rate schedule for the residential  
23 customers, but the residential customers are part of a  
24 more heterogeneous group segmented by consumption as  
25 "low use".

26 So when you look at this, I think you can

1 conclude that an increase to the residential basic  
2 charge is not inconsistent with the fixed cost  
3 recovered in other jurisdictions.

4 By the way, the detailed rates can be found  
5 in appendix 7-2.

6 So here I'm going to talk about competing  
7 rate design principles when it relates to increasing  
8 basic charge. One, government energy conservation  
9 policies. I told you, you know, the reason that we  
10 hold the basic charge constant in 2009 was because of  
11 the government policies, to be in line with those  
12 government policies. So nothing has changed. Those  
13 government policies are still there.

14 Also we know that, you know, based on  
15 economic theory if you have excessively high basic  
16 fixed charges, then, you know, that will impact  
17 customers behaviour and for the case of a natural gas  
18 utility, a distribution utility, it may -- if it's too  
19 high then people may lose their incentive to invest  
20 in, you know, efficiency measures.

21 So a higher basic charge would discourage  
22 customers engagement in energy saving initiatives, as  
23 we can see. And whatever increase that we want to  
24 apply, we should consider this.

25 The second rate design consideration is  
26 rate stability and bill impact. Obviously you cannot

1 increase by whatever percentage you want. It should  
2 consider the rate impact and there should be no rate  
3 shock.

4 And finally, the feedback received from the  
5 stakeholders. You know, we had a workshop last year,  
6 and honestly there was not that much appetite for any  
7 change in basic charge based on the results of the  
8 workshop.

9 **Proceeding Time 11:41 a.m. T32**

10 So if you consider everything that I just  
11 mentioned, we believe that a one-time 5 percent  
12 increase in the basic charge and offsetting decrease  
13 in the volumetric charge would be reasonable and it  
14 would be a balance measure and it will create a  
15 reasonable balance among competing rate design  
16 considerations.

17 First of all, a 5 percent increase is not  
18 going to lead to any kind of rate shock, obviously,  
19 you know. There will be a zero rate impact for an  
20 average use customer because it's revenue neutral. So  
21 any increase that the basic charge, you will decrease  
22 the variable charge.

23 Yes.

24 MS. SUE: Suzanne Sue. What do you consider rate shock?  
25 Is rate shock in your opinion a zero rate impact on  
26 the bills? One percent, 5 percent? What do you

1           generally consider to be rate shock?

2 MR. MEHRAZMA:   I think generally it's about 10 percent,  
3           but it also, you know -- I think this was also  
4           discussed in BC Hydro's last proceeding, that it also  
5           depends on dollar amount.  If the 10 percent would be  
6           like 50 cents, it depends -- well, it's not.  But if  
7           it was then, probably that is not going to be rate  
8           shock, you know.  But it's usually about 10 percent, I  
9           think.

10 MS. SUE:        Okay, thank you.

11 MR. MEHRAZMA:   Yeah.  So this will be a view of bill  
12           impact for an average customer, but the maximum bill  
13           impact will be 5 percent obviously for a customer's  
14           with zero consumption.  And for the majority of  
15           customers the bill impact will be -- go on.

16 MR. HACKNEY:    Thank you.  The 5 percent amount, did  
17           Fortis look at 2 percent and 10 percent and 15  
18           percent, a range?  And if so, what were the  
19           conclusions?

20 MR. MEHRAZMA:   Yeah.  So we didn't look at 2 percent.  We  
21           looked at the 5, 10, 15.

22 MR. HACKNEY:    Yeah.

23 MR. MEHRAZMA:   And, you know, based on the competing rate  
24           design principles we thought that 5 percent would be  
25           the most reasonable, because we really did not want to  
26           -- we wanted to be aligned with the current policies

1           and procedures.

2 MR. HACKNEY:    Okay, and -- okay, thank you.

3 MR. MEHRAZMA:   So for the majority of customers the bill  
4           impacts from this will be less than one percent,  
5           either decrease or increase, but less than one  
6           percent.

7                         Government policies.  Obviously, I mean 5  
8           percent is not that much and it's not going to  
9           discourage customers' engagement in energy  
10          conservation policy initiatives, because even if you  
11          have 100 percent of your delivery charge recovered in  
12          fixed charges, you're still going to have a  
13          significant amount of your bill that's going to be  
14          recovered to volumetric charges, you know.  Cost of  
15          gas, carbon tax, midstream.  They're always going to  
16          be recovered in terms of volumetric charges.  If you  
17          do the rough calculation, but right now about 50-50.  
18          So if 50 percent is delivery and basic charge and the  
19          50 percent is the rest.  So a 5 percent increase is  
20          not going to really discourage anybody from DSM  
21          activities, we think.

22                        And finally cost causation.  It doesn't  
23          solve the issue but it moves towards improving the  
24          alignments between fixed costs and fixed charges.  So  
25          based on these considerations we thought that a one-  
26          time 5 percent increase would be reasonable.

1                   Slide number 68, this is just really a  
2                   summary. So FEI is proposing a residential rate  
3                   design that maintains the current flat rate with a  
4                   fixed daily basic charge and a flat volumetrics  
5                   delivery charge. And we think that it is reasonable  
6                   to increase the basic charge and decrease -- to  
7                   increase the basic charge by 5 percent and to decrease  
8                   the volumetric charge by the corresponding amounts.

9                   And that will conclude my presentation. If  
10                  there is any questions I'm happy to answer.

11 THE CHAIRPERSON: Okay, thanks, Rouz. So I think it's a  
12                  logical time for us to take a lunch break. Maybe an  
13                  hour, so we can be back here at around 12:50.  
14                  Probably that's better. Thank you.

15                  **(PROCEEDINGS ADJOURNED AT 11:46 A.M.)**

16                  **(PROCEEDINGS RESUMED AT 12:56 P.M.)**                   **T33/34**

17 MR. TOKY: Well, welcome back, everyone. My name is Atul  
18                  Toky. I'm manager, rate design and tariffs.

19                  So in the morning, Dave basically took us  
20                  through the context of the rate design application.  
21                  He did talk about a little bit on the FEI rate design  
22                  history, and then we had Richard talking about the  
23                  cost of service allocation model, some of the high-  
24                  level assumptions, the methodology itself, and the  
25                  results, before any proposals, any rate design  
26                  proposals. We also had Rouz, talking about the

1 residential rate design.

2 So up next, I'm going to talk about the  
3 commercial rate design, which is also included in  
4 Section 8 of the rate design application. I have used  
5 some charts and tables in my presentation, and have  
6 included references in the slides where those can be  
7 found in the application as we go. I'll be happy to  
8 respond to any questions as we go, but we do have a  
9 lot of material to go through after lunch session as  
10 well. So in total we have around, I think, 128  
11 slides, and we are on slide number 70 now. We'll try  
12 our best to respond to those questions, but if we are  
13 challenged for time and maybe we are getting into a  
14 discussion, or issues that need more time, then maybe  
15 I would basically ask you to put that for our  
16 regulatory process, which we have in front of us.

17 Moving on to slide number 70, commercial  
18 customer characteristics. So, who are commercial  
19 customers? Commercial customers include small  
20 commercial customers, which are served under rate  
21 schedule 2, with normal annual consumption less than  
22 2,000 GJs, and large commercial customers, served  
23 under rate schedule 3, and rate schedule 23. Rate  
24 schedule 23 being the transport service, meaning they  
25 get the delivery service from FEI.

26 And the normal annual consumption of those

1 customers, the large commercial customers, is more  
2 than 2,000 GJs.

3 As shown in the table above in this slide,  
4 FEI is currently serving more than 90,000 commercial  
5 customers, which amounts to roughly about 9.3 percent  
6 of FEI's total customer base. Out of these, about  
7 85,000 customers are small commercial customers.

8 In terms of the annual demand which you can  
9 also see on the table above, roughly a bit more than  
10 quarter of FEI demand is coming from commercial  
11 customers, with small commercial demand around 14  
12 percent of FEI total demand.

13 Pie charts on the slide, which is the  
14 bottom part, shows the customer mix and the end users  
15 of FEI's commercial customers.

16 So these customers cover a diverse range of  
17 natural gas end users, which include restaurants,  
18 offices, health care facilities, retail outlets,  
19 apartments, and numerous other, as you can see on this  
20 customer mix pie chart.

21 In terms of the end use, 85 percent is  
22 being used for heating, which means space and water,  
23 and 7 percent is for the commercial cooking. And  
24 there is a bit more, about 7 percent and 1 percent for  
25 appliances and other users.

26 Moving on to slide 71. FEI reviewed the

1 existing customer segmentation for the commercial  
2 customers and, in doing so, it looked at the customer  
3 bill frequency, and the load factor analysis. This  
4 slide showed the customer bill frequency is basically  
5 a plot for the annual consumptions against number of  
6 customers as you can see for both small and the large  
7 commercial customers on this slide.

8 **Proceeding Time 1:00 p.m. T35**

9 Left chart shows that approximately 72,000,  
10 which is 85 percent of the 85,000 small commercial  
11 customers, they use less than 600 GJs per year, and  
12 almost 99 percent of the small commercial customers  
13 use less than 2,000 GJs per year.

14 On the right-hand side, the chart that  
15 shows the large commercial customers, you'll see a  
16 fairly large number, approximately 4,600 out of 6,700  
17 customers in total, which is around 69 percent, use  
18 between 2,000 GJs per year and 4,000 GJs per year.

19 So moving to slide 72, this slide shows the  
20 load factor distribution of small and large commercial  
21 customers. The figures on the chart support the  
22 customer segmentation into small and large customers  
23 based on the difference in the average load factors  
24 for these customer groups. Small commercial customers  
25 which is served under rate schedule 2, they have an  
26 average load factor of about 31 percent, compared to

1 the large commercial customers combined rate schedule  
2 3 and 23 have an average load factor of 37 percent.  
3 So it's basically a plot against the load factor and  
4 the number of the customers.

5 We do look at another way of reviewing the  
6 existing customer segmentation, and how we do that is  
7 by having this plot which is -- we call that a  
8 scatter plot, which is basically a plot against the  
9 load factor versus the annual consumption.

10 The chart shows that the commercial  
11 customer load factor starts at a low of about 25  
12 percent -- that's close to the vertical axis that you  
13 see -- at around 500 GJ's per year level, and increases  
14 to about 35 percent, somewhere between 1,000 GJ's per  
15 year and 2,000 GJ's per year, where it remains fairly  
16 constant due to the higher levels of annual demand.

17 Given the load factor differentials, the  
18 current threshold of 2,000 GJ's per year, that's the  
19 current threshold that we have between rate schedule 2  
20 customers and rate schedule 3 and 23 customers. That  
21 remains reasonable. However, looking the figure  
22 above, one can argue that the threshold is not exactly  
23 2,000 GJ's, and can interpret the threshold to be close  
24 to, let's say, a thousand GJ's.

25 While differences can be found at other  
26 threshold levels, as well as at 2,000 GJ's, the result

1 would need to be significantly different to provide a  
2 compelling argument to move away from the existing  
3 threshold of 2,000 GJs.

4 Next, in slide number 74 -- oh, sorry, we  
5 have a question here? Sorry, Tom?

6 MR. HACKNEY: Atul, is there a strong difference in the  
7 allocation of cost causality between those smaller  
8 groups than the larger group?

9 MR. TOKY: Do you want to --

10 MR. GOSSELIN: Yeah, I'll address that. The cost  
11 allocators between the two, because we use load factor  
12 to drive a peak day demand, the lower load factor  
13 customers tend to create a larger peak day demand for  
14 which we use to allocate costs. So the rate 2  
15 customers, being marginally lower on a load factor  
16 basis than the rate 3 or the small commercial versus  
17 the large commercial, attract a few more demand  
18 related costs per customer.

19 **Proceeding Time 1:05 p.m. T36**

20 As far as the customer allocations, they're  
21 not too different between the two as far as the  
22 services and meter factor, and the administration and  
23 billing factors, very close as well. So the customer  
24 allocations don't change too much, whether you're an  
25 RS 2 or a small commercial versus a large commercial.

26 MR. HACKNEY: But Fortis definitely does want to have two

1 separate classes.

2 MR. GOSSELIN: Yes, that's -- we believe it's appropriate  
3 given that there is a marked difference in the load  
4 factor, under about 2,000 GJs.

5 MR. TOKY: Okay. So, slide number 74. As a part of the  
6 review of the existing rate design, FEI looked at the  
7 economic cross-over point between rate schedule 2 and  
8 rate schedule 3 customers. So what is this economic  
9 cross-over point? There is the annual volume at which  
10 a customer would have the same annual total cost  
11 whether served under rate schedule 2 and 3. So if --  
12 assume if a customer is basically around 2,000 GJs  
13 level, so whether that's under rate schedule 2 or 3,  
14 would have approximately the same total annual cost.  
15 That's the whole idea of the economic cross-over  
16 point.

17 As shown above in this graph, the red line  
18 in this graph shows a curve when we plot, when we take  
19 the effective rate, which is the dollars per GJ,  
20 against the annual consumption for rate schedule 3  
21 customers, which is the large commercial customers,  
22 and blue line, it represents rate schedule 2.

23 As it is clear from the graph, the economic  
24 cross-over point when we do this analysis is  
25 approximately 1400 GJs per year. Therefore the  
26 current rates in these rate schedules, they do provide

1       inappropriate price signals for small commercial  
2       customers consuming between 1400 GJs and 2,000 GJs.  
3       And the gap that you see, that's what we call as the  
4       economic gap, because at 2,000 GJs special level,  
5       there is still that much difference. It's not  
6       crossing over at that point. Using the existing  
7       rates.

8               So we classify this as misalignment in the  
9       rates, which gives an incentive to the customers on  
10      the rate schedule 2 to consume more energy, so that  
11      they can move to 2,000 GJ threshold level, to achieve  
12      a lower rate and bill. The misalignment might also  
13      cause rate instability for customers whose year-to-  
14      year fluctuations in annual demand may occasionally  
15      cause them to move back and forth between these rate  
16      schedules.

17             In effect, this whole thing causes revenue  
18      instability for the utility.

19             So what I'm trying to say here, and point  
20      out here is, in our review of the existing customer  
21      segmentation and the economic cross-over point that we  
22      just looked at, the existing inter-class rate  
23      economics for the commercial customers and the  
24      customer segmentation threshold are one of the rate  
25      design issues that we focused on, and it's focused on  
26      in this presentation as well, that they suggest there

1 is room to improve this alignment using the following  
2 rate design principles. So we looked at the fair  
3 apportionment of the costs, price signals that  
4 encourage efficient use, rate stability, revenue  
5 stability, and avoidance of undue discrimination,  
6 which is really the inter-class equity.

7 So in our commercial rate design, we did  
8 look at a few of the rate design options. And we also  
9 took in consideration the stakeholder workshops and  
10 the feedback that we got from those stakeholder  
11 workshops last year, in looking at those options.

12 So option A is to move the threshold  
13 between rate schedule 2 and 3 to about 1,000 GJs.  
14 Like I said, there is no clear statistical evidence  
15 that the threshold really exists at 1,000 GJ mark or  
16 2,000 GJ mark. However, we do have the current  
17 existing segmentation threshold at that level.

18 **Proceeding Time 1:10 p.m. T37**

19 If we go with Option A, it results in  
20 significant customer disruption by moving customers,  
21 which is not supported by rate design principles that  
22 we have of rate and revenue stability.

23 We also looked at Option B, which is moving  
24 the threshold between Rate Schedule 2 and Rate  
25 Schedule 3 customers to about 1400 GJs. So that's the  
26 point where we, if we plot that economic cross-over

1 point, this slide, you see it crosses over at 1400 GJs  
2 approximately. So you move the threshold to 1400 GJs.  
3 It is still a material change in the customer movement  
4 that's causing the customer disruption, and leads to  
5 about 600,000 net revenue shift from one customer  
6 class, which is like Rate Schedule 3 to Rate Schedule  
7 2. And on top of that we don't have any evidence that  
8 whether that 1400 GJs threshold is the right threshold  
9 or not.

10 Option C is to maintain the existing  
11 threshold because we know that's working, of 2,000  
12 GJs, but then we have to adjust those basic and  
13 delivery charges for these rate schedules to close the  
14 economic gap that I just talked about. The advantage  
15 of this option is that there is no customer migration,  
16 there's less customer disruption.

17 For those on the phone I'm on Slide 76 now  
18 which says Commercial Rate Design Proposal. So based  
19 on the rate design issues that I just talked about and  
20 identified, and potential options available, FEI is  
21 proposing to maintain the existing threshold and  
22 adjust the basic and delivery charges to close the  
23 economic gap. The economic cross-over point can be  
24 aligned with the 2000 GJs threshold by simultaneously  
25 raising the basic charge for both Rate Schedule 2 and  
26 Rate Schedule 3-23 customers, and lowering the

1 delivery charge for Rate Schedule 2 and raising it for  
2 Rate Schedule 3 and 23. So those are all the  
3 calculations we do in the back to see how we can align  
4 those rates back to come to that point where you see  
5 these lines now crossed at 2,000 GJ levels, which is  
6 the threshold between these two rate schedules.

7 And we will see later on when Rick will go  
8 and talk about the revenue-to-cost ratios, that doing  
9 with this proposal we are not really changing or  
10 disrupting the revenue-to-cost ratios. They continue  
11 to be within the range of reasonableness as well.

12 So that's basically what we are doing with  
13 our commercial rate design. So we are maintaining the  
14 existing threshold of 2,000 GJs between Rate Schedules  
15 2 and 3, and we are adjusting Rate Schedule 2 and 3  
16 charges to close the economic gap.

17 There are a few things that I didn't  
18 include in this presentation but they do apply to the  
19 commercial rate design as well. For example, things  
20 that Ruth talked about, the rate structure options.  
21 So the rate structure that we have currently in place  
22 for commercial customers is also a flat rate  
23 structure, which we believe for the reasons provided  
24 by Ruth also applies to these commercial customers as  
25 well. But in a sense this is what we are proposing  
26 when it comes to our commercial rate design.

1                   That concludes my presentation on the  
2                   commercial rate design. If there are no questions  
3                   then we can proceed further. Bill.

4 MR. ANDREWS: Thank you. Bill Andrews. Do you have in  
5                   the application the revenue/cost ratio consequences of  
6                   the proposal for change, the basic rate for the  
7                   commercial customers?

8 MR. TOKY: You mean just the basic charge change or --

9 MR. ANDREWS: Yes.

10 MR. TOKY: -- the combination of those changes that we  
11                   are proposing?

12 MR. ANDREWS: Well, the combination of maintaining the  
13                   threshold at 2,000 GJ and changing the basic charges  
14                   to adjust the cross-over. You were saying that it  
15                   doesn't have much effect on the revenue-to-cost  
16                   ratios. I'm just wondering if we would be able to  
17                   find those in the application.

18 MR. TOKY: Yeah, absolutely. And later on in today's  
19                   presentation as well, we are going to talk about the  
20                   revenue-to-cost ratios after all our rate design  
21                   proposals and how does that look. We did look about  
22                   the revenue-to-cost ratios in Rick's presentation  
23                   earlier, before rate design proposals.

24                   So we are going to come back and talk,  
25                   after we make all these rate design proposals, how do  
26                   the revenue-to-cost ratios look like? And then we are



1 gas consuming industries within this group are the  
2 pulp and paper, wood products, oil and gas  
3 manufacturing and greenhouse sectors. Across the  
4 category as well, there's five primary end uses,  
5 boilers, product drying, process heating, industrial  
6 processes and space heating.

7 As we move onto the next slide, slide  
8 number 79, this is going to give a summary of my  
9 overall agenda for industrial rate design and the  
10 different rate schedules that I'll be going through  
11 today.

12 On slide 80, what you can see here is the  
13 bill frequency for rate schedules 5 and 25 customers.  
14 So this is going to provide a quick snapshot for the  
15 nearly 800 customers that are in these combined rate  
16 schedules. Rate schedule 5 is a sales service, so  
17 it's the delivery as well as the commodity is provided  
18 under this rate schedule, and rate schedule 25 is the  
19 transportation equivalent of rate schedule 5. So  
20 customers under all the rate schedule 20s that I'll  
21 discuss today utilize a gas marketer or a shipper  
22 agent to provide their commodity on their system for  
23 them.

24 As you can see from this graph it shows  
25 that the majority of customers within these rate  
26 classes use between 5,000 and 25,000 gigajoules per

1 year, but some may use up to about 150,000 gigajoules  
2 or slightly more.

3 On slide number 81, we're just going to  
4 look at the current rate structure that's in place  
5 with these rate classes. So at FEI's general firm  
6 service for rate schedule 5 and 25, it's designed to  
7 serve high load factor and process load customers that  
8 have an efficient utilization of our system. So in  
9 addition to a basic charge per month, and a variable  
10 delivery charge, the rate structure also includes a  
11 demand charge. And this demand charge helps us  
12 recover the allocated cost of service in a way that  
13 reflects each customer's load profile and demand on  
14 the system.

15 The rate schedule 5 and 25 rate structure  
16 is designed to utilize a demand charge which can  
17 provide lower average rates to these higher load  
18 factor customers.

19 Additionally you can see that the rate  
20 schedule 25 rate class does also have an  
21 administration charge per month of \$78, and this is  
22 associated with the provision of the transportation  
23 service.

24 Overall FEI finds that this existing rate  
25 structure is working well, as intended.

26 On slide number 82, we are now looking at

1 the existing rate design review for rate schedules 5  
2 and 25. Upon reviewing the existing design, FEI  
3 concluded that generally these rate schedules are  
4 working as designed. However, we did identify two  
5 areas of interest that we wanted to investigate.

6 The first area was with respect to the  
7 daily demand formula that is associated with the  
8 demand charge. For the majority of customers FEI  
9 found that the current method of determining our  
10 customer's daily demand overstated the customer's peak  
11 demand on the system -- or sorry, overestimated the  
12 customer's peak demand on the system.

13 **Proceeding Time 1:21 p.m. T39**

14 Overestimating the demand may not result in  
15 fair apportionment of costs among customers in rate  
16 schedules 5 and 25, and may distort the price signals  
17 for efficient use of the system which is intended by  
18 the rate structure.

19 The second area of interest is with respect  
20 to maintaining the proper price signals. So the  
21 existing rate structures was designed to provide an  
22 incentive for high load factor customers to receive  
23 service under rate schedule 5 and 25, and we want that  
24 to be maintained.

25 As we move on to slide number 83, on this  
26 slide, FEI reviewed current methodology that's in

1 place right now for calculating the daily demand. We  
2 also reviewed four other methods. The first method  
3 that we reviewed is obviously our current formula,  
4 which we found overstates a customer's peak demand on  
5 the system.

6 The second method we looked at would be to  
7 continue to use the existing formula, but update the  
8 multiplier in the formula that aligns more closely  
9 with the peak demand of the customer group on the five  
10 coldest days of the year.

11 The third method we investigated was to  
12 look at actually using customers' daily consumption on  
13 our maximum day send-out. So what was the day within  
14 the previous year that was our highest deliverable  
15 requirement from the system?

16 Under the fourth method that we looked at,  
17 we also looked at what would the customer's daily  
18 averaged consumption be over the peak weather  
19 conditions, or peak days on the system? So we'd look  
20 back at what were their consumption on the three or  
21 five coldest days for their weather region within the  
22 province.

23 And the last method that we investigated  
24 was looking at -- was similar to method 4, where we  
25 looked at what their consumption was on the five  
26 coldest days in their region, or half of their average

1 consumption of any month during the summer period. So  
2 that last method is somewhat similar to our current  
3 formula, but we are actually looking at customer-  
4 specific consumption on the coldest-type days.

5 Yeah?

6 MR. HACKNEY: Does there --

7 MR. HODGINS: One sec, here comes the microphone.

8 MR. HACKNEY: Okay. Does there exist, or might there  
9 soon be gas meters that actually measure peak demand?

10 MR. HODGINS: Yes. So all these customers do -- once  
11 they move into certain rate classes, that are rate  
12 schedules 5, 25, and up through the 20s, and 7-27, all  
13 of those rate classes require an automated meter  
14 reader, they call it. Basically a device that reads  
15 the data and phones in daily consumption figures to  
16 us.

17 MR. HACKNEY: So that should directly -- by direct  
18 measurement, give you the peak consumption.

19 MR. HODGINS: Yes, we can get the -- from the data on a  
20 customer-specific basis, we can get their actual  
21 consumption on a daily basis. But it doesn't  
22 necessarily align with what -- their peak consumption  
23 doesn't necessarily align with their consumption on a  
24 peak day. Which is --

25 MR. HACKNEY: Oh, coincident peak.

26 MR. HODGINS: Yes, a coincident peak, yes.

1 MR. HACKNEY: With other customers.

2 MR. HODGINS: Yeah.

3 MR. HACKNEY: Okay. Thank you.

4 MR. HODGINS: If we move on to slide 84. Through our  
5 evaluation of the daily demand methods, FEI found that  
6 option 2, or method 2, seemed to strike the best  
7 balance between better alignment of an estimated  
8 coincident peak demand and a high level of customer  
9 understanding of how the rates would be applied. We  
10 found this option will also provide more rate and  
11 revenue stability, producing fewer anomalous results.

12 Other than the adjustment to the  
13 multiplier, this method uses the current formula,  
14 which has been around for many years and is understood  
15 by the customers.

16 **Proceeding Time 1:26 p.m. T40**

17 This rate calculation is understandable and  
18 it's easy to implement. This method also reduces  
19 potential anomalous results that could understate or  
20 not be representative of a customer's peak demand.  
21 Anomalous results could be substantive from the  
22 reduced demand on Sundays, statutory holidays, or  
23 short-term seasonal holidays such as the Christmas-New  
24 Year period when some customers would have reduced  
25 operations.

26 By maintaining the formula and not

1 requiring daily consumption figures for every customer  
2 to calculate their peak demand within the formula, new  
3 customers to this rate class that do not yet have  
4 daily metering can still determine whether there is a  
5 benefit in moving into this rate schedule.

6 For all those reasons, FEI proposes to  
7 maintain the current formula but update the  
8 multiplier.

9 As we move onto slide 85. This slide is  
10 about the price signal options and so this is the  
11 second area of interest that FEI wanted to  
12 investigation with respect to rate schedules 5 and 25.

13 FEI has considered the following four  
14 options to ensure that there is an appropriate  
15 economic incentive for lower load factor customers to  
16 continue to take service under our rate schedules 3 or  
17 23 rather than under rate schedule 5 or 25, which is  
18 designed for a higher load factor customer.

19 So the four options we were looking at were  
20 if we investigated changing the basic charge, changing  
21 the variable delivery charge. We also investigated  
22 removing the demand charge which was suggested at one  
23 of our workshops by some of the stakeholders, or just  
24 changing the demand charge.

25 Of these options listed above, FEI found  
26 that the best mechanism to provide an incentive for

1 customers whose load factor is less than 40 percent,  
2 to take service under rate schedule 3 or 23 rather  
3 than rate schedule 5/25 was to maintain the demand  
4 charge and increase the demand charge as a result of  
5 the change to the formula we proposed for daily  
6 demand.

7 As we move onto slide 86, this slide is our  
8 proposal for rate schedules 5 and 25, and to summarize  
9 what I've just kind of stated, FEI is proposing to  
10 maintain the current rate structure for rate schedule  
11 5/25 but make two adjustments. We are proposing to  
12 update the multiplier from 1.25 to 1.1 that is used in  
13 the current method to determine the daily demand as an  
14 estimate of the customer's peak demand. This change  
15 is proposed to more accurately estimate the peak daily  
16 demand for the purposes of the demand charge  
17 calculation.

18 FEI is also proposing to increase the  
19 demand charge by \$3. This change is proposed to  
20 continue the incentive for low load factor customers  
21 to take service under large commercial rate schedules  
22 3 and 23 rather than general firm service 5/25 which  
23 is intended for higher load factor customers.

24 So no questions, I'll move onto the next  
25 slide and the next rate schedule.

26 On slide 87 now. We're moving onto rate

1 schedules 7 and 27. And again rate schedule 7 is  
2 sales bundled service and rate schedule 27 is the  
3 transport equivalent of that rate schedule. And this  
4 is small volume interruptible service.

5 So you can see here is the bill frequency  
6 for the rate 7 and 27 customer group. FEI currently  
7 has just over 100 customers served under general  
8 interruptible service.

9 **Proceeding Time 1:31 p.m. T41**

10 It includes a wide range of industries such  
11 as asphalt plants, greenhouses, hospitals, sawmills,  
12 and numerous other industries. These customers use an  
13 average around 59,000 gigajoules per year. The annual  
14 bill frequency shows that the annual consumption from  
15 these customers ranges from about 5,000 to 150,000  
16 GJs, so a broad spectrum.

17 As we move on to Slide number 88 now, this  
18 slide shows the rate structure and a review of the  
19 rate structure for Rates 7 and 27. The rate structure  
20 for interruptible sales and transport service includes  
21 a monthly basic charge and a volumetric delivery  
22 charge. And as previously indicated for Rate Schedule  
23 25, the transportation equivalent Rate Schedule 27  
24 also has an additional administrative charge per month  
25 of \$78.

26 As we move on to Slide 89 we're going to

1        move on to our proposal. So to encourage existing  
2        customers to remain on interruptible service and  
3        attract new interruptible customers, Rate Schedules 7  
4        and 27 charges are set at a discount to Rate Schedules  
5        5-25 general firm service. From the customer's  
6        perspective, the economic decision to take firm or  
7        interruptible service is dependent on whether the  
8        discount from firm is sufficient to compensate for the  
9        cost to have an alternate backup system and fuel costs  
10       that can be used for the costs from ceasing operations  
11       when they're restricted and they're interrupted.

12                Setting the discount either too high or too  
13       low would send the wrong price signals and could cause  
14       the rate and revenue instability for customers and  
15       FEI. If the discount is too low, this may discourage  
16       new customers from considering interruptible service,  
17       and they also cause existing interruptible customers  
18       to migrate to firm service. If the discount is too  
19       high, too many customers with firm service may elect  
20       to contract for interruptible service.

21                FEI believes that the discount is working  
22       well as FEI has experienced no unusual or  
23       unanticipated migration activity from firm to  
24       interruptible, or the other way from interruptible to  
25       firm. And that would suggest that the rates or rate  
26       structures are produced -- that the rate structures

1 are not producing undesirable effects on the customer  
2 service option selections.

3 The discount from firm service under the  
4 existing Rate Schedules 7 and 27 interruptible service  
5 charges achieves a reasonable balance between  
6 maximizing the economic value of interruptible  
7 service, which helps offset utility cost to firm  
8 customers and providing a sufficient incentive for  
9 existing customers to stay on interruptible service,  
10 as well as attracting potential new customers.

11 FEI is therefore proposing to retain the  
12 current interruptible service rate structure and the  
13 method of calculating the Rate 7 and 27 delivery  
14 charges, based on a discount from Rate Schedules 5 and  
15 25. FEI is proposing though to update the Rate 7 and  
16 27 delivery charge calculation to reflect changes in  
17 the daily demand formula that we proposed under Rate  
18 Schedule 5 and 25 -- sorry, to maintain the current  
19 approximate 18 percent discount.

20 Yeah, Suzanne?

21 MS. SUE: Suzanne Sue. I'd just like to find out often  
22 have the interruptible customers been interrupted on  
23 average over the last five or ten years?

24 MR. HODGINS: Historically looking back, we've curtailed  
25 or interrupted the customers, it averages about one  
26 day per year.

1 MS. SUE: Thank you.

2 MR. HODGINS: Yeah.

3 MR. WEAFFER: Just following up on that. Sorry, Chris  
4 Weaffer, Commercial Energy Consumers.

5 MR. HODGINS: Yeah.

6 MR. WEAFFER: Is the interruptibility weather related or  
7 facility repair related?

8 **Proceeding Time 1:36 p.m. T42**

9 MR. HODGINS: When I'm talking about the one day per  
10 year, that's usually weather related. So we model  
11 within our system at a certain degree day in advance  
12 of getting to the peak design conditions, all  
13 interruptible customers are off the system, but  
14 interruptible rate schedules also provide us the  
15 benefit of we can interrupt them for operational  
16 reasons, if there's line hits in a certain area. So  
17 there's the additional benefits or even during  
18 maintenance we can interrupt customers as well.

19 MR. WEAFFER: But the one day a year is weather related.

20 MR. HODGINS: It's weather related yes.

21 MR. WEAFFER: It's an average. So it could have been five  
22 in one year, or ten in one year.

23 MR. HODGINS: Yeah.

24 MR. WEAFFER: That's your average. Okay, thank you.

25 MR. HODGINS: Yes. No other questions? Okay.

26 So now we can move onto rate schedule 4.

1        So rate schedule 4 serves the unique needs or  
2        approximately 20 of our seasonal customers who  
3        typically do not use natural gas during the winter and  
4        thus do not contribute to FEI's system peak demand.  
5        Rate 4 customers are typically the outdoor pools that  
6        we see around our communities, or some of the asphalt  
7        paving companies in the Interior, because they don't  
8        pave during cold weather.

9                B.C.'s load customers usually use gas  
10       primarily during the off peak or summer period from  
11       April through October. However, some seasonal  
12       customers may also use gas in the months of November  
13       and March when there is still available capacity and  
14       gas supply. During the coldest months from December  
15       through February seasonal customers do not usually  
16       take any gas service.

17               During the off peak or summer periods  
18       seasonal customers receive firm sales service and the  
19       delivery charges are derived from rate schedules 5 and  
20       25. During the extension period or winter period  
21       seasonal customers can receive only interruptible  
22       sales service. In order to provide service to rate  
23       schedule 4 customers during the extension period, FEI  
24       must have sufficient supply of gas and capacity to  
25       deliver gas to them.

26               For the extension period, the rate schedule

1 4 delivery charge is derived from interruptible rate  
2 schedules 7/27 delivery charges. For seasonal  
3 customers FEI is proposing to maintain the existing  
4 rate structures and methodology to derive the rate  
5 schedule for delivery charges. Since the rate  
6 schedule for delivery charges are based on rate  
7 schedules 5 and 25 as well as rate schedules 7/27, FEI  
8 is proposing just to update the rate schedule 4  
9 delivery charges to reflect the proposed changes  
10 discussed within rate schedule 5/25 and rate schedule  
11 7 and 27.

12 Next slide. We are on slide 91 now. So  
13 last subset of the industrial group I'm going to talk  
14 about now is the rate schedule 20s and our large  
15 contract customers.

16 FEI's large volume industrial  
17 transportation customers are currently segmented into  
18 four groups. Rate schedule 22, rate schedule 22A, 22B  
19 and the large industrial contract customers which  
20 consist of the Vancouver Island joint venture, which  
21 is a group of pulp mills, and the BC Hydro Island  
22 generation facility.

23 These four groups are the legacy of the  
24 service area of FEI's predecessor company, with rate  
25 schedule 22 customers being located primarily in the  
26 Lower Mainland, the rate schedule 22A customers in the

1 Inland service area, 22B customers in the Columbia  
2 service area, and the two large industrial contract  
3 customers located on Vancouver Island and Sunshine  
4 Coast.

5 Yes?

6 MR. WEAFFER: Chris Weafer, Commercial Energy Consumers.  
7 Where do the bypass customers fit in on any of those?  
8 Are they in 22A or 22B or are they separate from that?  
9 22A and 22B I think are closed schedules for the  
10 Inland territory, but do they include the bypass  
11 customer?

12 **Proceeding Time 1:41 p.m. T43**

13 MR. HODGINS: Okay, the bypass customers that we have,  
14 there is -- they're under a rate 22A bypass. We have  
15 rate schedule 22 bypass. And there is also some rate  
16 schedule 25 bypass customers.

17 MR. WEAFFER: So do these numbers include the bypass  
18 customers? Or are they --

19 MR. HODGINS: They do not.

20 MR. WEAFFER: And so -- I don't want to go into detail on  
21 it, so how many bypass customers are there and what  
22 kind of volumes would they -- as annual demand? In  
23 rough numbers.

24 MR. PERTTULA: I got that.

25 MR. HODGINS: Do you have it?

26 MR. GOSSELIN: We have -- sorry.

1 MR. HODGINS: Dave wants to.

2 MR. GOSSELIN: Oh, Dave? Could you get that? Go ahead,  
3 Dave.

4 MR. PERTTULA: There are ten bypass customers.

5 MR. WEAFFER: And rough volume.

6 MR. HODGINS: They take about nine PJs per year.

7 MR. WEAFFER: Thank you.

8 MR. PERTTULA: There is one other customer that's  
9 technically not a bypass customer but has a special  
10 contract, and that's sometimes grouped with the bypass  
11 customers in our applications, but that's a coal mine  
12 in the Columbia service area. So it technically isn't  
13 a bypass customer but it does have a special contract.

14 MR. HODGINS: And they're served off their own dedicated  
15 lateral.

16 MR. PERTTULA: Right.

17 MR. WEAFFER: And, not to bog this discussion down, but  
18 there is not a lot in the application about the bypass  
19 customers in -- is it possible to give a general  
20 description now, and why they continue on as bypass  
21 customers?

22 MR. HODGINS: Sure.

23 MR. PERTTULA: Yeah, so this is a concept that developed  
24 in the late 1980s as the gas markets were undergoing  
25 deregulation. And it pertains to industrial customers  
26 for the most part that are very close to the upstream

1 pipeline. So in our case they're close to the  
2 WestCoast transmission line, or the Spectra line. And  
3 so they had the -- a real opportunity to construct  
4 their own line to the upstream transmission line, and  
5 bypass the utility's distribution system.

6 So, rather than having those physical  
7 bypasses take place, there were processes sponsored  
8 basically by an Order in Council from the government,  
9 but also BCUC hearings, that determined that it would  
10 be better to have an acceptable negotiated rate that  
11 was close to their competitive bypass rate, had they  
12 built their own line. It would be better to have  
13 those revenues coming from those customers rather than  
14 lose them all together and actually have them do a  
15 physical bypass of the utility system.

16 So, those contracts remain in place.  
17 They're still viable bypass threats, if we were to,  
18 you know, to reopen them and try to increase those  
19 rates. They would, you know -- they would have the  
20 opportunity to actually pursue a physical bypass of  
21 the system. So that's still the same as the way  
22 things were in the late 1980s. And so we don't want  
23 -- we don't see any good reason to reopen those, or to  
24 make that an issue in the proceeding here.

25 So is that --

26 MR. WEAVER: Yeah, that's helpful. (inaudible).

1 MR. PERTTULA: Okay.

2 MR. ANDREWS: If I could just follow up on that.

3 MR. PERTTULA: Yeah.

4 MR. ANDREWS: You're saying that these bypass customers  
5 are still in a position to have the opportunity to do  
6 a bypass. Do you have reason to believe that the  
7 costs to them, their opportunity cost, is still the  
8 way it was when these contracts were first entered  
9 into? So that the terms of those contracts go -- make  
10 the same financial sense to FEI?

11 MR. PERTTULA: The contracts do have some elements that  
12 escalate over time. So, for example, there is an  
13 allowance for operating and maintenance costs in the  
14 contracts. And those -- those have been escalating  
15 over time.

16 **Proceeding Time 1:46 p.m. T44**

17 So, you know, the costs are probably  
18 similar to what they might experience today, but we  
19 haven't actually done an analysis to say that the  
20 bypass costs are the same as what they were when those  
21 contracts were originally established.

22 MR. BYSTROM: Chris Bystrom, for Fortis. I just might  
23 add a little colour, that the contracts are designed  
24 so that they continue to reflect what the bypass  
25 customer would pay if they had actually constructed  
26 and were operating their own pipeline. So they're all

1 worded so that there is adjustment so that, you know,  
2 if they had to add new facilities to serve an  
3 increased volume or capacity that you required, then  
4 the charges are adjusted to reflect that.

5 So, in principle, those agreements are such  
6 that they continue to reflect what they would have --  
7 would be paying if they had actually constructed their  
8 own pipeline.

9 MR. ANDREWS: Thank you.

10 MR. TOKY: Do you want to say something?

11 THE CHAIRPERSON: I have a question on the interruptible  
12 rate.

13 MR. TOKY: Yes.

14 THE CHAIRPERSON: Earlier in the presentation there was  
15 reference to the Lower Mainland intermediate pressure  
16 replacement. Does that impact the capacity at all and  
17 the need for an interruptible rate to make peak day  
18 demand?

19 MR. GOSSELIN: If I recall the application was about  
20 system resiliency. To the most extensive -- we have  
21 the Lower Mainland that was basically fed through one  
22 point of entry, I believe. I'm trying to think back  
23 to the application itself. But it was generally about  
24 system resiliency in the Lower Mainland. And it was  
25 -- that was the premise upon which some of the -- or,  
26 the CPCN -- I'm not sure about all the approvals in

1           the CPCN on that, but that one I recall. It was about  
2           resiliency and now so much about the capacity.

3 THE CHAIRPERSON: Thank you.

4 MR. TOKY: Okay.

5 MR. HODGINS: Sorry, I'm just catching up to where I was.  
6                        So back on slide 91. Rate schedule 22A and  
7           22B classes have been closed to any new customers  
8           since 1993. Since that time, any new large industrial  
9           transportation customers for FEI have taken service  
10          through rate schedule 22.

11                       And moving on now to slide number 92. When  
12          reviewing the rate design, FEI considered three main  
13          points. The first one was whether we can look at  
14          minimizing regional differences in this group of  
15          customers. The second, that we had to consider the  
16          timing and end dates of the large contracts in place  
17          with the Vancouver Island joint venture and BC Hydro.

18                       As well as, these existing contracts had  
19          not been adjusted as a result of the amalgamation of  
20          Vancouver Island Utility. And the last point that we  
21          considered when looking at our options for this group  
22          of customers is that FEI needed to review the firm  
23          rate methodology for rate schedule 22.

24                       Rate schedule 22 is primarily an  
25          interruptible service, but firm rates can be approved  
26          or negotiated and then approved by the Utilities

1 Commission. Currently we have one customer under rate  
2 schedule 22 that was receiving firm service, and  
3 that's Creative Energy or the central heat  
4 distribution system here downtown. And when that firm  
5 rate was approved by the BCUC, we were also directed  
6 to review the firm rate design in our next rate design  
7 process. We have also had other Rate 22 customers  
8 express interest in some firm capacity for a portion  
9 of their overall load.

10 So we'll move on to slide 93.

11 **Proceeding Time 1:51 p.m. T45**

12 Based on the review of the existing rate  
13 design of large volume transportation customers, FEI  
14 considered two options. The first option is status  
15 quo, essentially. Under this option schedules 22A and  
16 22B would remain closed rate schedules. We would also  
17 look to determine a firm rate for rate schedule 22 and  
18 set interruptible rates that would be based on a value  
19 of service rather than cost basis.

20 We would also look to maintain separate  
21 contract rates in place for the Vancouver Island joint  
22 venture and BC Hydro. The second option that we  
23 considered would be fore 22A and 22B to remain  
24 grandfathered in closed rate schedules as well. But  
25 we look to determine a postage stamp cost of service  
26 rate which would establish both firm and interruptible

1 rates for rate schedule 22 that are cost based and  
2 applicable to all large industrial customers including  
3 Creative Energy, the Vancouver Island Joint Venture,  
4 and BC Hydro.

5 So we move onto slide 94. This would be  
6 our large volume transportation and contract customers  
7 rate design proposal. FEI's proposal is option 2.  
8 FEI is proposing a rate design for large volume  
9 transportation customers that continues to grandfather  
10 rate schedules 22A and B as closed service offerings  
11 and creates a postage stamp cost of service based rate  
12 with firm rates for all other large industrial  
13 customers including Creative Energy, the Joint Venture  
14 and BC Hydro.

15 Under this option, the rates for  
16 interruptible service would be set equal to the firm  
17 rates, however the firm rates have been converted into  
18 a combination of a firm demand charge and variable  
19 delivery charge similar to what you've seen under rate  
20 schedules 5 and 25 and are also within rate schedules  
21 22A and 22B.

22 BC Hydro's Island Generation contract would  
23 continue to take service under its existing agreement  
24 which continues until April of 2022 at their current  
25 rate. After the contract expires, BC Hydro could  
26 choose to become a rate schedule 22 customer.

1 Yes.

2 MS. BRAITHWAITE: Do you have the comparable figures for  
3 rate schedule 22A and 22B as are shown for rate  
4 schedule 22 on slide 94?

5 MR. GOSSELIN: No, not at hand.

6 MR. HODGINS: Yeah, sorry, I don't have them. Yeah.  
7 They are all laid out, I know, in the application. Is  
8 that okay?

9 We move to my last slide, slide 95. This  
10 last slide is just a summary of the industrial rate  
11 design proposals that we've ran through, and just to  
12 summarize it again. For rate schedule 5 and 25 we are  
13 proposing to maintain the current formula with an  
14 updated multiplier of 1.1 for the daily demand  
15 calculation, as well as raise the demand charge by  
16 \$3.00 per month per gigajoule of daily demand.

17 For rate schedule 7/27 we are proposing to  
18 maintain the existing rate structure but adjust the  
19 resulting rates and delivery charge calculations to  
20 reflect proposed changes in rate schedule 5 and 25  
21 maintain the approximate 18 percent discount firm that  
22 there is today.

23 **Proceeding Time 1:56 p.m. T46**

24 For rate schedule 4, we're proposing to  
25 maintain the existing rate setting methodologies and  
26 update the rates due to changes to rate schedule 5/25

1 and 7/27. And finally for the rate schedules 22, 22A,  
2 B and the large contract customers, we're proposing to  
3 maintain 22A and 22B as closed rate schedules,  
4 calculate a single rate 22 firm rate based on the  
5 allocated costs in the COSA for rate 22, the Joint  
6 Venture and BC Hydro together as a group.

7 Yes?

8 MR. WEAVER: Chris Weafer, Commercial Energy Consumers.  
9 For rate schedule 22, what's the interruption  
10 experience with that group in the last few years?

11 MR. HODGINS: It's the same curtailment that we talked  
12 about for interruptible. So it averages the one day  
13 per year. In the last few years, we haven't had any  
14 curtailment. We've gotten close. Even this last past  
15 winter we didn't have any curtailment other than some  
16 localized areas on our system where we did interrupt a  
17 few customers for capacity. Or there's a group of  
18 greenhouses on our system where we work with them and  
19 they load shift to get off on our morning peak.

20 MR. WEAVER: The opportunity in the rate design is now  
21 for them to be able to buy out of that interruption  
22 with -- the element of firm service would be able to  
23 avoid that one day a year on average they're  
24 interrupted. Is that the proposal?

25 MR. HODGINS: The element of firm service is that some  
26 of them -- they want a portion of their load. So when

1 we look at curtailing them, it's a portion. So in  
2 areas where we do have capacity and we aren't capacity  
3 constrained, if they want to elect firm service, we  
4 would sell that so we could get more revenue from them  
5 on those days when would normally be curtailing them  
6 and they have to get fully off the system.

7 MR. WEAVER: I understand. So you're not interrupting  
8 their peak, you are leaving them with a base load?

9 MR. HODGINS: Yeah, they would drop down to some sort of  
10 base amount.

11 MR. WEAVER: Thank you, that's helpful.

12 MR. HODGINS: Any other questions?

13 MR. TOKY: I just have one comment, just to reply to  
14 what Tannis was mentioning earlier. So there is a  
15 table 9-23 in the application page 9-40, that does  
16 show those rates for the rate 22As and Bs.

17 MR. HODGINS: All right.

18 MR. MARTISKAINEN: One more quick question on the  
19 curtailment or interruptible versus firm. So again, I  
20 guess more than once per year let's say folks are  
21 knocked down to their firm. Is there a statistic or  
22 an average, last two years, last five years on that  
23 occurrence?

24 MR. HODGINS: No, and it becomes site specific. So --  
25 yeah, no there's not a statistic on those numbers.

26 All right, thank you. I'll like to pass it

1 onto Stephanie Salbach for the next section.

2 MS. SALBACH: Hi there. Thank you, Kevin, and I'm the  
3 transportation services manager and energy supply at  
4 Fortis. In the following slides I'll review the  
5 proposed changes in the transportation model as  
6 included in the rate design application.

7 Before I get into the proposed changes, I  
8 wanted to quickly put this slide up, which was very  
9 similar to what was presented last week. I feel it  
10 provides a key understanding of the daily load  
11 balancing functions relative to the changes we're  
12 proposing to review today.

13 As depicted here, FEI is responsible for  
14 managing the system as a whole, which includes daily  
15 system business from sales and transportation  
16 customers. The total supply that is received at FEI's  
17 interconnects from all sources and the total system  
18 demand must be balanced between the interconnecting  
19 pipelines. The main point I wanted to make on this  
20 slide was that on a daily basis system imbalances  
21 between both supply and demand from both sales and  
22 transportation customers is managed by storage and  
23 transportation resources that are under -- that are  
24 classified as midstream resources, and these are borne  
25 and paid for by sales customers.

26 **Proceeding Time 2:01 p.m. T47**

1                   As a result of the overall daily balancing  
2 activities from FEI and a flexible balancing tolerance  
3 that exists today, transportation customers  
4 effectively receive a benefit for these services. The  
5 consideration of this benefit, as well as other  
6 factors and analysis, have led us to focus on a few  
7 areas of the model.

8                   Generally FEI feels the business model for  
9 the transportation service area of the business to be  
10 working well. As the model was developed several  
11 years ago, FEI is proposing a few changes to reflect  
12 current day practices, as well as general changes in  
13 the industry. The three listed here are the main  
14 areas FEI is proposing to make changes. The first  
15 deals with the daily and monthly balancing options  
16 that are in place today, and the second and third deal  
17 with the balancing tolerance, as well as the charges  
18 for these balancing tolerances today.

19                   So the first area that we looked at, as I  
20 mentioned, is the balancing provision. FEI currently  
21 allows customers to be either daily or monthly  
22 balanced, with the exception of Rate 22 customers,  
23 which must be balanced daily. There are charges and  
24 balancing tolerances in place for daily balanced  
25 customers to incent daily balancing, whereas there are  
26 no charges nor balancing tolerances on the day to

1 provide the same incentive for monthly balanced  
2 customers. Given this, monthly balanced customers  
3 have the ability to draft or undersupply on a daily  
4 basis through the month.

5 Given these current provisions, FEI looked  
6 at three options. The first one as indicated here is  
7 to maintain the status quo, which would effectively  
8 leave daily and monthly balancing provisions in place  
9 as they are today. If no changes were made to the  
10 model, an uneven playing field would continue to exist  
11 between daily and monthly balanced customers. This  
12 option effectively would fail to address the directive  
13 that was given by the Commission to FEI from the  
14 monthly balancing gas application from 2014. This  
15 directive stated that FEI derived an appropriate rate  
16 design mechanism to incent the appropriate behaviour  
17 not just at month end but during the month as well.  
18 Given these reasons, FEI is not in favour of Option 1.

19 Option 2 retains monthly balancing  
20 practices but with an increased charge for customers.  
21 This approach may -- we felt this approach may also  
22 not satisfy the Commission directive for monthly  
23 balance customers to balance throughout the month, not  
24 just by month end. Furthermore, research indicates  
25 that monthly balancing is not consistent with industry  
26 practice. In light of these items, FEI is not in

1       favour of this option.

2               Which leads me to Option 3. This option  
3 involves moving all customers in all service territory  
4 to daily balancing exclusively. Based on the  
5 principle of fairness, this option would treat all  
6 customers and marketers equally. As compared to when  
7 the transportation model was developed, transportation  
8 customers or their marketers have the tools today to  
9 amend gas requirements on the day to reflect changes  
10 in load. Many of our customers today -- marketers I  
11 should say, hold daily balanced groups exclusively  
12 today. And as I mentioned, the larger Rate 22  
13 customers on our system already adhere to daily  
14 balancing provisions today. FEI itself is held to  
15 daily balancing provisions with our upstream  
16 interconnecting pipelines, and research indicates that  
17 daily balancing is consistent with general industry  
18 practice.

19               So in sum, in the interests of fairness and  
20 the reasons I just listed, FEI proposes to eliminate  
21 monthly balancing and require all transportation  
22 customers to balance daily.

23               The second area we looked at is the  
24 balancing tolerance and charges. As I reviewed last  
25 week, the balancing tolerance we have today is 20  
26 percent and the charges are, when under-deliveries

1 exceed 20 percent, in the summer the charge is 30  
2 cents per GJ and in the winter it's \$1.10 per GJ for  
3 under-deliveries. As I mentioned earlier, system  
4 imbalances borne by the transportation customers are  
5 managed under the annual contracting plan by the  
6 midstream resources. Given this benefit, we felt it  
7 was reasonable to evaluate a fee to account for this  
8 balancing service that's provided. This is Option 1.

9 Black & Veatch assisted us in calculating  
10 the replacement cost of the balancing services under  
11 various bandwidths provided by FEI. Under this  
12 option, the fee for this balancing service would be  
13 applied to all customers on a per GJ basis of  
14 throughput to account for the balancing service. If  
15 this option was implemented, FEI felt it would  
16 effectively penalize marketers that are operating  
17 within reasonable balancing tolerances today.

18 And furthermore FEI feels that if a fee-  
19 based approach were implemented, this would not  
20 provide an incentive to the customers or marketers to  
21 manage supply and demand more closely, which is a  
22 fundamental obligation in our rate schedules today.

23 **Proceeding Time 2:07 p.m. T48**

24 Option 1, we feel, would fundamentally  
25 change the model, and for these reasons FEI is not  
26 proposing a balancing fee as such.

1                    Instead of a fee, FEI evaluated the idea of  
2                    tightening the balancing threshold currently in place.  
3                    Under option 2, it was identified with the research of  
4                    Black ^ Veatch that our current threshold of 20  
5                    percent is very lenient compared to other local  
6                    distribution companies. Under this option of imposing  
7                    a tighter bandwidth, FEI would continue to balance the  
8                    system as a whole. However, by tightening this  
9                    tolerance, marketers would be incented to manage their  
10                   customer load more closely and effectively reduce  
11                   large fluctuations, swings, that are experienced  
12                   today.

13                   So, having said that, what should the  
14                   tolerance be? We considered a 5 percent tolerance,  
15                   but determined this would be too stringent, given that  
16                   FEI currently can impose a 5 percent tolerance under  
17                   supply restriction circumstances today. So, based on  
18                   the analysis that we undertook, we looked at the  
19                   balancing activities by our transportation customers  
20                   in the years 2014 and 2015, and identified that a  
21                   large number of marketers today manage their business  
22                   substantially within a ten percent tolerance.

23                   Based on this, FEI is proposing to reduce  
24                   the balancing tolerance threshold from 20 to 10  
25                   percent to be applied to all customers.

26                   So, if we were to reduce this tolerance to

1 10 percent, what should the associated balancing  
2 charges be? As seen in the first table, FEI looked at  
3 the variable incremental costs involved in system  
4 balancing. The variable costs were calculated based  
5 on the commodity charge, pipeline fuel, and storage  
6 fuel. FEI considered the potential charge for a range  
7 of commodity prices as depicted here, from \$2.50 to \$5  
8 US per MMBTU, and the resulting variable costs ranged,  
9 as you can see here, from 20 cents to 33 cents.

10 Based on this range of incremental variable  
11 costs, FEI is proposing to apply a mid-range charge of  
12 25 cents for the 10 to 20 percent range, which would  
13 be applied in both the summer and winter months.

14 Now, to note, I've listed the range of  
15 costs that we undertook in our evaluation. I just  
16 wanted to make a note that should the cost of gas  
17 exceed \$5 per MMBTU, which is the highest value listed  
18 here, FEI would apply to the Commission to update this  
19 charge.

20 So as seen in the second table, the  
21 balancing within a zero to 10 percent range, FEI is  
22 not proposing a balancing fee. For the 10 to 20  
23 percent range, as I mentioned, we would apply a 25  
24 cent balancing fee in both the summer and winter  
25 months. And for the 20 percent plus range, FEI is  
26 proposing to retain the current charges that are in

1 place today, which is \$1.10 in the winter and 30 cents  
2 in the summer.

3 So, in summary, FEI is proposing in the  
4 rate design application to eliminate monthly balancing  
5 provisions entirely for the transportation services  
6 model, and require that all the customers in all  
7 service territories to balance daily. And secondly,  
8 we would like to amend the balancing tolerance from 20  
9 to 10 percent, and implement a tiered charge approach  
10 whereby charges would increase as tolerance ranges are  
11 exceeded.

12 Welcome to take any questions anybody might  
13 have.

14 Well, that's great. Thank you very much  
15 for your time and attention.

16 MR. TOKY: So, just checking in. Before we go into the  
17 rebalancing and the final COSA results, which would be  
18 taking into consideration all the rate design  
19 proposals that we have made, we can either now take a  
20 short break, maybe a ten-minute break, and then come  
21 back and go through these. Depends on how everyone is  
22 feeling. I just want to be very -- you know, open for  
23 that. So whatever --

24 THE CHAIRPERSON: Let's take a break.

25 MR. TOKY: You want to take a break?

26 THE CHAIRPERSON: Sure.

1 MR. TOKY: Perfect. So we'll take a ten minute break.  
2 Be back here at 2:25.

3 **(PROCEEDINGS ADJOURNED AT 2:12 P.M.)**

4 **(PROCEEDINGS RESUMED AT 2:25 P.M.)** **T49/50**

5 MR. GOSSELIN: All right, thanks, folks. The next couple  
6 of slides we're going to talk about the rebalancing  
7 and the final COSA results.

8 So FEI allocates its costs in its COSA  
9 model and then that COSA model helps inform the  
10 subsequent rate design proposals as we've just  
11 discussed over the last couple of hours.

12 The rate design proposals affect some of  
13 the cost allocations and revenues within the COSA.  
14 These adjustments are summarized in section 12.1 of  
15 the application.

16 I'll summarize those adjustments based on  
17 the rate design proposals through some texts here --  
18 or words, rather. So rate schedule 2, 3 and 23. We  
19 had our commercial rate design proposal which was  
20 basically resetting the rates so that the economic  
21 threshold is reset to 2,000 gigajoules per year. This  
22 creates a revenue shift of about 1.2 million from rate  
23 schedule 2 to rate schedule 3/23. There is no cost  
24 implications to it, meaning it doesn't change the way  
25 costs are allocated in the COSA.

26 For rate schedule 5/25, Kevin talked about

1        resetting -- or sorry, changing the factor that we  
2        used to set the contract demand from 1.25 to 1.1 and  
3        also increasing the demand charge by \$3.00. This has  
4        no cost allocation consequences in the COSA either.  
5        However, it does increase the revenue from rate  
6        schedule 5/25 by a small amount of \$45,000 for all of  
7        the customers in total.

8                Rate 7/27, Kevin talked about basically the  
9        trickledown effect of changing 5/25 and its affect on  
10       7/27. Based on the proposals FEI has in the rate  
11       design application, we see a small decrease from the  
12       rate 7/27 customers of \$91,000 in total.

13               And then rate 4 again is a trickledown  
14       effect from changing both rate schedules 5 and 25 and  
15       7 and 27, and rate 4 will see a small increase of  
16       about \$13,000 for that rate schedule in total.

17               So none of these changes that I just spoke  
18       of have any impact on cost allocation in the COSA  
19       model.

20               And then we have our rate schedule 22 firm  
21       industrial proposal. This has an affect on the cost  
22       allocations in the COSA and why it does that is  
23       because we have a 60 TJs per day for these customers  
24       that we're using to allocate cost to that rate  
25       schedule, that firm offering, and so it has a small  
26       change in the way costs are allocated in the COSA.

1 Not big ones, but just a little small shift in the way  
2 costs are allocated.

3 The resulting revenue change to the utility  
4 as a whole from the rate schedule 22 firm proposal is  
5 a decrease in revenues of about \$754,000. That takes  
6 into account the fact that BC Hydro is going to -- BC  
7 Hydro IT is going to retain their contract until 2022.

8 So the sum of all these, the net sum of all  
9 these rate design proposals comes to a net decrease of  
10 about \$786,000 in revenue for the utility to cover its  
11 cost. So what we do in the COSA is we shift that  
12 \$786,000 to rate schedule 1. Rate schedule 1 is  
13 currently the only rate schedule that is under 100, or  
14 it's got the lowest RC ratios, so we shift that to the  
15 rate schedule 1 as a pick up in revenue from them.  
16 And so the results of that COSA, COSA after rate  
17 design proposals, you can see in the first two columns  
18 of the table you have up on the screen.

19 **Proceeding Time 2:30 p.m. T51**  
20 It's labelled "COSA after rate design proposals".

21 As you can see, rate schedules -- most of  
22 the rate schedules shown there fall within the 90 to  
23 110 range of reasonableness that the utility is using  
24 as its guidelines, and then from there we look at the  
25 rate schedule and we decide if any of them need to be  
26 rebalanced.

1                   So in looking at it, rate schedule 6/6P  
2 falls quite outside the range of 90 to 110 and so we  
3 are proposing a rebalancing for this rate schedule of  
4 \$61,000 to bring them down into line at 110 RC ratio.  
5 This 61,000 we would shift over to rate schedule 1 and  
6 pick it up from rate schedule 1 customers. It's a  
7 rate change for rate schedule 6 of about 16 percent  
8 decrease and it doesn't have, really, any effect. One  
9 decimal place past the percentage for rate schedule 1.

10                   So those -- the rate design proposal, as I  
11 talked about, they have an impact on the COSA that you  
12 can see in the first couple of columns, and then the  
13 only rebalancing we are proposing is in the middle on  
14 rate schedule 6 and then the COSA after rate design  
15 proposals and rebalancing can be seen on the far  
16 right-hand corner -- or right-hand side of this table.

17                   The following slide is simply a summary of  
18 all the proposed rate changes from the application in  
19 a table that is easily reviewed and you can find that  
20 in the application in Section 12.4, page 12-8.

21                   From that I'm going to pass it over to  
22 Atul.

23 MR. TOKY:       Thanks, Rick. So moving onto slide 106, we'll  
24 talk about the FEI approvals sought. It's actually  
25 slide number 107 where we do put those approvals  
26 sought. The slide actually shows the main headings

1 under which we are seeking some approvals in the  
2 application, and these are all based on the rate  
3 design proposals that we have discussed in our  
4 previous presentation.

5 The detailed approvals sought are included  
6 in section 2.2, page 2-3 through 2-5 of the  
7 application. One of the things that we haven't really  
8 touched upon, I just wanted to mention here is the  
9 general terms and conditions which we will be talking  
10 about in a bit from now, but those are basically some  
11 of the housekeeping and other amendments that we are  
12 proposing for our general terms and conditions changes  
13 that will go through.

14 Anyways I just wanted to, for the benefit  
15 of everyone, just wanted to show what kind of  
16 approvals are we seeking. I don't want to go into  
17 detail here because there is a lot of material there,  
18 and in the end I'm also going to talk a little bit  
19 about how we plan to implement these approvals that we  
20 are seeking in the application. So basically combined  
21 with everything, I think, you know, we are getting a  
22 sense of where we are, what kind of approvals we are  
23 seeking for and how we want to implement those.

24 Yes?

25 MR. BURSEY: Dave Bursey, Industrial Customers. Just  
26 going back to the last slide about the proposed rate

1 changes, do you have the proposed rate changes for the  
2 22A and 22Bs?

3 MR. TOKY: The 22As and Bs?

4 MR. BURSEY: Yes. Quite often on these tables that  
5 category is always left off, but it would be good to  
6 make sure it's included.

7 MR. TOKY: As we discussed in our industrial rate design  
8 section, we are not proposing to change or make any  
9 changes to the rates, right?

10 MR. BURSEY: But there is one place where it shows a  
11 percentage increase in the rates? I could do that off  
12 line. I could talk to you and find out where it is in  
13 the application.

14 MR. TOKY: Yeah, it will take me some time to just dig  
15 up in the application and see where that is, but you  
16 know, yeah.

17 **Proceeding Time 2:36 p.m. T52**

18 MR. TOKY: So moving on, I want to touch upon the Fort  
19 Nelson rate design and approval sought. So this  
20 section is Section 13 of the rate design application.  
21 And we did file this as part of our supplemental  
22 filing last month. Again, as I said before, I'll use  
23 some charts and tables in my presentation. And I've  
24 included references in the slides. Those can be found  
25 in the application.

26 Slide 109. Unbundling the rates. As part

1 of the review of the Fort Nelson existing rate design,  
2 FEI looked at unbundling the rates. So what do we  
3 mean by unbundling the rates? Unbundling refers to  
4 separating out the gas cost recovery charges and the  
5 delivery charges in the tariff and customer bills.

6 So this is different, and why I want to say  
7 this is different from the concept of unbundling the  
8 service that we were talking about in our last  
9 workshop, where we discussed that was related to the  
10 commodity unbundling, from our Customer Choice  
11 program, where marketers sell gas to residential and  
12 commercial customers. So this is about unbundling the  
13 rates, or the rate structure, if you -- the components  
14 in the rates. Which I will touch upon soon.

15 So why do we need to unbundle the  
16 residential and commercial rates? There are a number  
17 of reasons why that makes sense. Firstly, it is  
18 consistent with the other service areas of FEI.  
19 Unbundling of rates for FEI occurred back in 1994.  
20 Secondly, because of the transparency reasons. So  
21 customers today in their existing rate structure, they  
22 can't really see different components. So they can't  
23 really see in their bills and their rates different  
24 components, and I say gas costs and delivery costs.

25 From this point of view, if we do unbundle  
26 the rates, they will clearly see like other service

1 areas of FEI, customers can see what are the different  
2 components of the rates in their bills are.

3 Thirdly, it enables ability for the  
4 customers to participate in some of the programs that  
5 require unbundled rates. So there is the biomethane  
6 program, for example. Unless we do this unbundling of  
7 the rates, we can't really participate in that  
8 program, because we can't really see what are the  
9 different components in the rates, or the bills.

10 And lastly, industrial service rates that  
11 we have in place today for Fort Nelson, that's rates  
12 3.1, 3.2, and 3.3, they are already unbundled.

13 So FEI is proposing to unbundle the Fort  
14 Nelson rates. One more thing, and this is the last  
15 bullet in this slide I wanted to touch upon, is about  
16 the residential customer survey, which we also did for  
17 the Fort Nelson customers. Which really shows support  
18 for the change to the unbundled rates. So 21  
19 supported bundled rates, whereas about 42 percent of  
20 the customers who were surveyed, they supported  
21 unbundled, flat rate structure. And for the reasons  
22 that Rouz touched upon earlier in his presentation.  
23 It's easy to understand, it's simple. It's more  
24 transparent.

25 So in the end, our proposal is to unbundle  
26 Fort Nelson rates.

1 COMMISSIONER ENNS: Excuse me.

2 MR. TOKY: Yes?

3 COMMISSIONER ENNS: 21 and 42 is 63. Where is the  
4 remaining 37 percent of the survey?

5 MR. TOKY: There are questions somewhere -- and I have to  
6 check, going back, check back in the customer research  
7 program survey that we had, but they are customers who  
8 would be, like, somewhat -- they are indifferent. You  
9 know. So there are certain customers like that.

10 COMMISSIONER ENNS: Okay. Okay.

11 MR. TOKY: But we had just picked basically who -- who  
12 basically mentioned was clearly on those points, yeah.

13 COMMISSIONER ENNS: No, that's fine, that answers the  
14 question.

15 **Proceeding Time 1:36 p.m. T53**

16 MR. TOKY: So slide 110. This is about declining block  
17 versus flat rate structure. So one of the things  
18 which are different in Fort Nelson as well is that the  
19 current rate structure for Fort Nelson's residential  
20 and commercial rates is a declining block rate  
21 structure. So as you can see on this slide, the  
22 table, it shows what rate structure looks like for the  
23 residential and commercial customers. They have a  
24 minimum charge, they have a first block which is  
25 basically the next level of the consumption that they  
26 use, and based on that there is a rate, and then there

1 is a second block. So it's like a tiered block,  
2 declining block rate structure.

3 Despite the advantages of declining block  
4 rates in terms of the economic efficiency principle,  
5 FEI believes that the flat rate structure is  
6 preferable for the following reasons. It's the most  
7 common rate structure. So Rouz did talk about, in his  
8 presentation earlier on, that we did some  
9 jurisdictional comparison and we did look at the other  
10 LDCs and what kind of rate structure is being used  
11 elsewhere. We found that flat rate structure is the  
12 most common of all. A flat rate structure is used by  
13 seven out of eleven Canadian natural gas utilities.

14 Changes in government policy. So  
15 government policy has changed significantly during the  
16 last twenty years. Today energy efficiency and  
17 conservation is a major focus of B.C. provincial  
18 government policies. Declining block rates may send  
19 price signals that can discourage customer engagement  
20 in energy efficiency and conservation programs and  
21 activities. So that's another reason why we want  
22 customers to go for a flat rate structure rather than  
23 a declining block.

24 As I said earlier, based on our customer  
25 survey results, that indicate the flat rate structure  
26 is preferred by the majority of Fort Nelson's

1 residential customers. I think, I believe the  
2 customer survey is filed as appendix 4-5 in the rate  
3 design application, so we can see all the details  
4 behind, you know, those statements that I'm making and  
5 it's all basically calculated from both the Fort  
6 Nelson and FEI customers, when we did the survey.

7 There is lack of evidence of benefits from  
8 declining block rates, and why I say that, there is  
9 low percentage of residential and commercial customers  
10 that actually benefit from declining rates, because  
11 majority of Fort Nelson customers, they do not consume  
12 more than minimum usage block per month, and therefore  
13 are never billed under the second lower rate block.  
14 The result is that, for the majority of Fort Nelson  
15 customers the current declining block rate structure  
16 that we have is effectively the same as flat rate  
17 anyways.

18 And the last point is about fluctuating  
19 minimum charges. So Fort Nelson's existing rate  
20 design consists of minimum daily charge which is  
21 calculated based on minimum two GJs per month  
22 consumption pro rated on a daily basis. Fort Nelson's  
23 existing minimum charge approach results in volatility  
24 and fluctuating with natural gas commodity prices.

25 So for all those reasons, we are proposing  
26 a flat rate structure for Fort Nelson customers.



1 equal to FEI's basic charge with the rest of the costs  
2 recovered through volumetric delivery charge. Another  
3 option would be to set the ratio of fixed basic charge  
4 and volumetric delivery charge in a way to achieve  
5 zero bill impact for a pre-defined average monthly  
6 consumption amount from a customer.

7           However, both of these options may result  
8 in significant bill impacts for certain customers.

9           So in terms of our proposal for the  
10 residential rate design, the first point is that we  
11 are unbundling the residential rates. So, meaning, as  
12 I explained, separating out the different components  
13 in the rates. And then move to a flat rate structure.  
14 However, the third point, how do you want to now set  
15 the level of the basic charge, is done in such a way  
16 that it achieves the lowest dollar amount bill impact  
17 for any individual customer in 4,000.

18           This was done using a linear programming  
19 technique in which minimization of the upward increase  
20 in the annual bills is set as one of the constraints  
21 for our calculations, and that's how we come up with  
22 those charges that you see in the table below, that we  
23 are proposing.

24           Now, these charges for rate 1 are prior to  
25 any rebalancing, which we will touch upon later on,  
26 and see what kind of charges would the final charges

1 be after any proposed rebalancing.

2 Moving on, slide 113, the existing  
3 commercial rate design. So Fort Nelson commercial  
4 customers are served under two rates, really, rate 2.1  
5 and 2.2. Rate 2.1 is referred to as the small  
6 commercial; rate 2.2 is the large commercial group.

7 And as you can see there are about 479  
8 customers. About 80 percent of the Fort Nelson  
9 customer base for the small commercial customers and  
10 about 22 percent, or just about 7 customers, under  
11 rate 2.2.

12 The current threshold between small and  
13 large commercial customers today that exists in Fort  
14 Nelson is around 6,000 GJs. So if you remember, when  
15 I was talking and discussing the FEI commercial rate  
16 design, the threshold between the small commercial and  
17 the large commercial customers is 2,000. However,  
18 currently, for Fort Nelson, it's about 6,000 GJs.

19 Just for everyone's reference, in our  
20 application and I think we will touch upon this later  
21 on as well, we are also kind of changing the naming  
22 convention on the Fort Nelson customers. So rate 2.1,  
23 for example, it's the small commercial customers, but  
24 we are renaming those to rate 2, for example, which  
25 was used for the FEI's -- which is consistent with the  
26 FEI's naming convention. So if you see in the

1 application back and forth, you know, those are  
2 basically -- that's what we have done. And it's  
3 clearly mentioned, I think, in one of the sections in  
4 the application too, which we'll touch upon later.

5 So the proposal on the commercial rate  
6 design is again to unbundle the commercial rates, like  
7 I discussed ,move to a flat rate structure, but also  
8 to set the threshold between small and large  
9 commercial customers at 2,000 GJs. In our application  
10 we do show that there is no clear separation point for  
11 any threshold. However, below 1500 GJs the load  
12 factor does vary between 30 percent to 40 percent.  
13 Beyond 2,000 GJs, there is a wider dispersion of the  
14 load factor that we see. It's around 30 percent to 50  
15 percent.

16 So again there is no clear, I can say,  
17 statistical evidence to support any threshold level in  
18 here. And that's why doing some analysis and looking  
19 at these are actually the same and similar type of  
20 customers that we had back in FEI. We are proposing  
21 to set the threshold between small and large  
22 commercial customers at 2,000 GJs.

23 When setting the proposed rates, before  
24 rebalancing, the rates for small and large commercial  
25 customers at 2,000 GJs would result in the same annual  
26 bill. Also attempted to minimize the customer bill

1 impact using the same technique I said, like the  
2 linear programming technique that we use in the  
3 Microsoft Excel solver.

4 Doing all that, calculations in the  
5 background, this is basically, we come up as the  
6 proposed charges for rates 2.1 and rate 2.2 before  
7 rebalancing.

8 So to summarize, we are unbundling the  
9 commercial rates. Moving to a flat rate structure.  
10 So coming up with a basic charge, dollar per day, and  
11 the delivery charge, dollar per GJ, as mentioned in  
12 this table below.

13 **Proceeding Time 2:53 p.m. T55**

14 Slide 115. Industrial rate design. So as  
15 I think Rick just mentioned before, there is one  
16 customer which is consuming about 40 TJs in the  
17 industrial rate -- under the industrial rate. The  
18 load factor for about 27 percent, and gas is generally  
19 used for space heating to protect equipment and  
20 facilities from cold weather. So that customer is  
21 basically taking service under rate schedule 25, but  
22 we do have the adjustments that we are making under  
23 COSA that Rick mentioned in the morning.

24 It's not a typical industrial process load  
25 though, because they are using, because of their  
26 business constraints, the gas for the space heating

1 and not really for the process load.

2 Anyways, I just wanted to recap that  
3 information. What I want to show in this slide is  
4 really our proposed industrial rate structure for Fort  
5 Nelson, even though there is no such customer under  
6 rate schedule 25 which is currently behaving as a rate  
7 schedule 25 customer, is to be consistent with the FEI  
8 rate structure which you can see in the table below.  
9 So there is a comparison here in the slide of the  
10 existing industrial rate structure and the proposed  
11 industrial rate structure.

12 As mentioned earlier by Kevin, there is a  
13 calculation of the daily demand to which the demand  
14 charge would apply. So that calculation would still  
15 be applied the way we are proposing for the FEI to  
16 these customers.

17 Any reference to this can be found in the  
18 section 13.5.6 of the application.

19 I know there is a lot of numbers here, but  
20 I just wanted to show what are the different  
21 components that exist under the existing industrial  
22 rate structure and what are we proposing, and if you  
23 clearly see -- one of the differences that you will  
24 see is, you know, there is a demand charge that we are  
25 now proposing to have in the industrial rates.

26 So this slide shows revenue to cost ratios

1 after we do some rebalancing and I want Rick to  
2 basically speak to this, what kind of rebalancing  
3 approach we have taken and how we do that in our COSA  
4 model.

5 MR. GOSSELIN: So as with the FEI, what we have to do  
6 with the Fort Nelson is we look at our rate design  
7 proposals and we look at them and we figure out if  
8 they actually have cost allocations in the COSA and if  
9 they have revenue allocations in the COSA. For the  
10 residential unbundling and unblocking the rate, the  
11 proposal for the residential rate, for Fort Nelson  
12 there's no change in the cost allocations in the COSA,  
13 and there's no revenue difference. We've structure  
14 the rates for the residential class, we collect the  
15 same revenue.

16 For the commercial proposal where we  
17 propose to shift the threshold, the break-even -- or  
18 the economic threshold from 6,000 GJs down to 2,000  
19 GJs, we see both a cost and a revenue shift in the  
20 COSA. What happens is folks -- rate 2.1 customers  
21 that were in Fort Nelson currently, consuming between  
22 2,000 and 6,000 GJs are now going to be considered --  
23 sorry, yeah, they are going to be considered rate 2.2  
24 customers now.

25 So we shift them in the COSA from 2.1 to  
26 2.1, create some cost allocation differences, and we

1 also have a revenue shift that moves from one to the  
2 other. Again, the revenue shift doesn't change the  
3 proposed rates before any rebalancing because they're  
4 paying the same rates today.

5 So what that does is it shifts some costs  
6 and some revenues around in the COSA and we have our  
7 results of that COSA, the revenue to cost ratios, the  
8 results of that COSA in the first couple of columns  
9 there in the table you're looking at.

10 So rate 1 has a revenue to cost ratio of  
11 82.1; rate 2.1, 117 and so on.

12 So then we look at, do we need to do any  
13 rebalancing at this point? As you can see, all of  
14 these customers, these rate schedules -- or rates  
15 rather, fall outside the 90 to 110 revenue to cost  
16 range that we've been using as a guideline. And so we  
17 decide to do some rebalancing.

18 The first thing we did was we looked at  
19 rate 1. They are at 82.1, about 8 percent less than  
20 the threshold of 90. So we decide to rebalance them  
21 upwards. We rebalance them upwards just enough to  
22 kind of maintain the bill shock, the rate shock  
23 threshold of 10 percent. So the 9.9 percent is just  
24 around -- it's that plus the previous rate design  
25 proposal where some customers see about .1. So you  
26 sum those two together and the annual bill increase on

1 average for a rate 1 customer, after proposals and  
2 after rebalancing, will be ten percent in Fort Nelson.  
3 So that's where we came up with the rebalancing amount  
4 of 131,000 for rate 1.

5 Next we look at rate 2.1. So where do we  
6 give that credit of 131,000 to. What we did was we  
7 wanted it to be slip somewhat evenly between rates 2.1  
8 and 2.2. Currently they are paying the same rates  
9 today. We know they are both outside what they are  
10 calling the range of reasonableness, but we felt it  
11 was fair to give it across both rate schedules evenly,  
12 as evenly as possible.

13 **Proceeding Time 3:00 p.m. T56**

14 So what we did was, we applied 71,000  
15 credit to rate 2.1, to bring them down to 110 percent  
16 revenue to cost ratio. And that was -- so that hits  
17 -- that makes those guys hit the revenue to cost ratio  
18 on the upper bound. And then the balance of 60,000  
19 we'd do a credit to rate 2.2. It lowers their average  
20 annual bill by 14.3 percent, and it brings them down  
21 to a revenue to cost ratio of 124 percent, or 123.9  
22 percent.

23 So the final revenue to cost ratios after  
24 rate design proposals and rebalancing can be seen on  
25 the far right side of the table. So that was the  
26 approach we took to rebalancing Fort Nelson.

1 THE CHAIRPERSON: Can I ask a question on that?  
2 MR. GOSSELIN: Certainly.  
3 THE CHAIRPERSON: The 9.9 percent on average.  
4 MR. GOSSELIN: Yes.  
5 THE CHAIRPERSON: Were there any users that were more  
6 impacted than 10 percent?  
7 MR. GOSSELIN: I'm certain I've looked at that. I can't  
8 recall at this point. It would seem that there should  
9 be some that will be higher, that will be impacted  
10 more than others, because -- oh, no. Sorry, no.  
11 Because what we actually did in this case, we  
12 attributed it all to the basic charge. So we put that  
13 entire change to the basic charge, all customers  
14 receive the same -- basically pay the same basic  
15 charge, they all have the same rate impact. That's  
16 correct. That's what I did.  
17 THE CHAIRPERSON: Thank you.  
18 MR. GOSSELIN: Okay.  
19 And this last slide is a summary of the  
20 rate proposals for Fort Nelson. And I think it can be  
21 found in Section 13.7.2. I think the point we want to  
22 look at, there's lots of rates and everything, you  
23 know, lots of stuff going on in this slide. What we  
24 really want to focus on is the total annual bill  
25 before and after. So we have total annual bill just  
26 above the pink line. This is slide 117, for those on

1 the phone. For rate 1, we see \$742 and the total  
2 annual bill after proposed rates -- after proposed  
3 changes and rebalancing of \$816 for rate schedule 1.  
4 So I think to do the math on that, and you'll see it's  
5 10 percent rate increase. And so on for the balance  
6 of the rates in Fort Nelson.

7 COMMISSIONER EVERETT: Sorry.

8 MR. GOSSELIN: Yes?

9 COMMISSIONER EVERETT: Did you say that when you get to  
10 10 percent, that's rate shock?

11 MR. GOSSELIN: Yeah, that's what we've used as a  
12 guideline for rate shock when making any of these  
13 changes, proposals, and rebalancing.

14 COMMISSIONER EVERETT: Yeah. So your point 1 under rate  
15 shock, is that right?

16 MR. GOSSELIN: No, the point -- if I can remember --  
17 there's two changes. There's a small change to -- how  
18 did it go?

19 There is an additional change in the Fort  
20 Nelson that adds 0.1 to the residential rate. So when  
21 you take that plus the 9.9 you get to 10. I'd have to  
22 take a look at my notes to explain to you exactly what  
23 that was again.

24 But at 9.9, we're 0.1 below rate shock,  
25 yes.

26 COMMISSIONER EVERETT: Yeah. So to balance, you're

1           essentially pushing everything to residential.  
2 MR. GOSSELIN:    In this case, we brought residential up.  
3 COMMISSIONER EVERETT:    Yeah.  
4 MR. GOSSELIN:    And pushed the credit to the rate  
5           schedule, commercial and -- the two commercial rate  
6           schedules, yes.  
7 COMMISSIONER EVERETT:    And is there another way of doing  
8           it?  
9 MR. GOSSELIN:    I suppose you can propose many different  
10           ways to rebalance. I mean, it's really just a numbers  
11           game, trying to get people closer to the range, what  
12           we call the range of reasonableness.  
13 COMMISSIONER EVERETT:    Mm-hmm.  
14 MR. GOSSELIN:    The rebalancing amounts, if you felt that  
15           10 percent was just too much, you can mitigate that  
16           and do only half of it, or perhaps propose a phased-in  
17           approach over a couple of years.  
18                        There is -- from a pure cost causation, or  
19           a cost allocation perspective, compared to the  
20           revenues, it's just a math exercise to figure out  
21           where you are. It doesn't mean that -- it doesn't  
22           mean you have to go to the extent that we did, but  
23           this is what we're proposing in our application.  
24 MR. TOKY:        I just want to add a little bit on that. So  
25           there is different competing principles when we look  
26           at doing the rebalancing as well. When you look at

1 the real cost causation point of view, we do have this  
2 range of reasonableness that Rich is mentioning.

3 **Proceeding Time 3:05 p.m. T57**

4 So if you look at 9210 percent of fees,  
5 whether it's reasonable, those revenues that we are  
6 collecting from those customers based on their  
7 allocated cost of service, and if you see in that  
8 table, residential class is the one which is not --  
9 which is below 90 percent, let's say, like in terms of  
10 their revenue to cost ratio, and that's the reason we  
11 did this way in terms of the rebalancing what we did,  
12 but then when you do that, you have to look at the  
13 other competing principles is that you should not be  
14 providing any rate shock to the customers. So you  
15 look at the other competing principle and seeing that,  
16 okay, is the rate going to be stable for them, and  
17 look at all those things in totality and come up with  
18 something.

19 So yeah, there are a lot of ways we can do  
20 this, but we proposes this in the application, for  
21 reasons as mentioned by Rick.

22 MR. GOSSELIN: Are there any further questions?

23 MR. TOKY: So we are on slide 118, which talks about the  
24 postage stamp rates for Fort Nelson So FEI is not  
25 proposing to postage stamp Fort Nelson rates at this  
26 time. FEI did the rate impact analysis to Fort Nelson

1 customers. Their delivery rates and gas cost recovery  
2 charges were to be postage stamped with the rest of  
3 the FEI service area.

4 So the table that you see in the slide  
5 above, it's basically a summation of the effective  
6 delivery variance and the cost of gas variance that we  
7 looked at in our analysis. In addition to the rate  
8 differences summarized above, and in consideration of  
9 the proposed rebalancing that Rick just mentioned and  
10 delivery rate changes which are already approved for  
11 2017 and 2018, based on Fort Nelson's revenue  
12 requirement and rates application, we see that there  
13 is still a lot of variance in the rates, and that's  
14 why we are not proposing to postage stamp rates for  
15 Fort Nelson customers at this time.

16 If you see the major reason for the  
17 variance in the Fort Nelson rates in the table,  
18 compared to FEI rates, is due to the midstream cost  
19 recovery which is approximately 2 to 3 cents per GJ as  
20 compared to about a dollar per GJ for FEI. Delivery  
21 rate differences for commercial customers are modest,  
22 but residential customers would see a dollar and --  
23 like a 9 cents per GJ increase. So those are the  
24 reasons why we are not proposing to postage stamp Fort  
25 Nelson rates.

26 Slide 119, approval sought for Fort Nelson.

1 Again, these are all the major categories under which  
2 we are seeking approvals for Fort Nelson. The detail  
3 approvals sought are included in section, I believe,  
4 13.1, page 13-1 through page 13-5 of the rate design  
5 application, and it does incorporate all those  
6 proposals that we just mentioned in our previous  
7 slides here.

8 So like I said, on the renaming of the rate  
9 schedule, so we are basically changing the naming  
10 convention for the Fort Nelson, so that's what you  
11 will see there. The unbundling of the rates that we  
12 talked about, so there is approvals that we are  
13 seeking, those are mentioned over there. That  
14 involved some changes to the billing system costs.  
15 That's also included in the approvals sought section  
16 of the Fort Nelson.

17 **Proceeding Time 3:10 p.m. T58**

18 Up next we have FEI general terms and  
19 conditions and the rate schedules that we want to talk  
20 about, and some of the proposed amendments, and we'd  
21 like to have Colleen Gravel, she's our tariff rate  
22 designs and project manager, to come in and present  
23 that.

24 MS. GRAVEL: Good afternoon. My name is Colleen Gravel,  
25 and I am the tariff rate design and projects manager  
26 at FEI. Today I'm going to provide a brief overview

1 of the proposed amendments to the FEI general terms  
2 and conditions, known as the GTs and Cs, the FEI rate  
3 schedules, and the Fort Nelson gas tariff.

4 Beginning with the FEI GTs and Cs, FEI has  
5 proposed general wording and housekeeping changes to  
6 most sections of the tariff. Within the GTs and Cs,  
7 there is the standard charges schedule, currently  
8 referred to as the standard fees and charges schedule.  
9 FEI has proposed a decrease to the application charge  
10 currently referred to as the application fee, from \$25  
11 to \$15. This proposed decrease reflects increased  
12 efficiencies in the business processes resulting from  
13 access to online and electronic information required  
14 to perform this service. In addition, we have  
15 proposed a decrease to the return payment charge,  
16 previously known as the dishonoured cheque charge,  
17 from \$20 to \$8, which reflects a decrease in customer  
18 service representative work due to improved automation  
19 and banking process.

20 Appendix 11-12 in the application outlines  
21 the calculations for the proposed changes to the  
22 application and return payment charge.

23 The black-line version of the proposed  
24 amendments to the GTs and Cs, including the standard  
25 charges schedule, can be found in Appendix 11-1 of the  
26 application.

1                   Next is a summary of the proposed  
2                   amendments to the FEI rate schedules. For rate  
3                   schedules 1 to 27, FEI has proposed general wording  
4                   and housekeeping changes. For rate schedules 22 to  
5                   27, the FEI transportation service rate schedules, the  
6                   table of charges for each rate schedule has been  
7                   updated to reflect daily balancing, including the  
8                   proposed daily balancing threshold of 10 percent and  
9                   the corresponding charge of 25 cents a GJ.

10                   In addition, for rate schedules 23 to 27,  
11                   which are currently monthly balanced, the terms and  
12                   conditions have been updated to reflect the proposal  
13                   of daily balancing. FEI has also proposed a decrease  
14                   to the administration charge per month from \$78 to  
15                   \$39. This proposed decrease reflects a decrease in  
16                   transportation service administration costs. Appendix  
17                   11-4 of the application outlines the calculations of  
18                   the cost review for the proposed decrease to the  
19                   administration charge.

20                   Finally, we have proposed to cancel rate  
21                   schedule 6A, general service vehicle refueling  
22                   service, and rate schedule 40, west to east Southern  
23                   Crossing Pipeline transportation service, as there  
24                   have not been any -- as there has not been any  
25                   customer uptake for service under these rate schedules  
26                   for many years.



1                   And that's all I have. Thank you. Are  
2                   there any questions?

3 MR. TOKY:     So that brings us to really the last part of  
4                   the workshop today, which is really to talk about the  
5                   next steps and I do have a couple of slides on this  
6                   which I'd like to go over with all of you.

7                   Like I mentioned before, I wanted to touch  
8                   upon the implementation of the approved changes. FEI  
9                   is targetting June 1<sup>st</sup>, 2018 as the implementation date  
10                  for these redesign changes as being proposed in the  
11                  application, and why that date, the middle of the year  
12                  is, is because it provides sufficient time for the  
13                  review of the rate design application. It does  
14                  provide sufficient time for FEI to implement changes,  
15                  and this is less complex if, you know, if we combine  
16                  this with other changes, like the delivery of the gas  
17                  cost changes. It will be easier for our customers to  
18                  understand and more clear for them to understand what  
19                  kind of changes are we proposing which are coming  
20                  straight out of the rate design application and not  
21                  really impacted by the other applications or the  
22                  approvals like, you know, the revenue requirements or  
23                  the gas cost changes that we normally have during the  
24                  beginning of the year and every quarter.

25                  So with that being said, this is the target  
26                  and we'll see how the process goes and based on that

1 we'll probably look for a compliance filing at a later  
2 date or something, to make sure that everything fits  
3 in within the time frame that we have to implement  
4 those changes.

5 I just wanted to put this slide on. This  
6 is the regulatory timetable. So, yeah, I'm not going  
7 to go through each and every line item here, but I do  
8 want to mention that there is a process in front of us  
9 which we can see on this slide, and there is a further  
10 process which is to be determined after we have the  
11 procedural conference which is scheduled for Wednesday  
12 July 5<sup>th</sup>, and before that we have all those things --  
13 or the action items in the process being placed by the  
14 Commission

15 **Proceeding Time 3:18 p.m. T60**

16 So with that, this really concludes our  
17 presentation for the workshop today. We are happy to  
18 take any further questions on this or any other  
19 comments that you would like to make.

20 THE CHAIRPERSON: The Panel would like to thank FEI and  
21 all the presenters. The presentation was very helpful  
22 to the Panel and to all the participants in  
23 understanding the COSAs and understanding the rate  
24 design proposals included in the application.

25 I'd like to thank all the other  
26 participants and look forward to the rest of the

1 regulatory timetable.

2 Thank you.

3 MR. TOKY: Thank you. Thanks.

4 **(PROCEEDINGS ADJOURNED AT 3:20 P.M.)**

5

6

I HEREBY CERTIFY THAT THE FORGOING  
is a true and accurate transcript of  
the recording provided to me, to the  
best of my skill and ability.

7

8



A.B. Lanigan,  
Transcriber

9

10

11

March 9<sup>th</sup>, 2017

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26