

BRITISH COLUMBIA UTILITIES COMMISSION
IN THE MATTER OF THE UTILITIES COMMISSION ACT
R.S.B.C. 1996, CHAPTER 473

and

British Columbia Hydro and Power Authority
2020 Transfer Pricing Agreement Application

Vancouver, B.C.
September 22nd, 2020

WORKSHOP

BEFORE:

R.I. Mason,	Panel Chair
E.B. Lockhart,	Commissioner
T.A. Loski,	Commissioner

VOLUME 1

VANCOUVER, B.C.

September 22nd, 2020

(PROCEEDINGS COMMENCED AT 9:00 A.M.)

1
2
3
4 MR. SANDVE: So we'll get started. Thanks everyone for
5 making the time and welcome to today's workshop.
6 Welcome to Commissioners, BCUC Staff, intervenor
7 (inaudible) today is on the 2020 Transfer Pricing
8 Agreement filed by BC Hydro with the BCUC.

9 My name is Chris Sandve and I am a senior
10 manager with regulatory and rates group at BC Hydro.
11 With me today to present today's workshop are Heather
12 Matthews, director of generation system operations
13 with BC Hydro; Mike MacDougall, vice president trade
14 policy and information technology with Powerex; and
15 Mark Holman, managing director with Powerex.

16 Also with us in the room today are external
17 legal counsel Jeff Christian, Dan O'Hearn, director of
18 trading with Powerex, and Chris Boltwood with the
19 Financial (inaudible) at BC Hydro.

20 Also observing by Webex today are David
21 Wong, executive Vice President finance technology and
22 supply chain at BC Hydro; Ryan Layton, Chief
23 Accounting officer at BC Hydro; and Fred James, chief
24 regulatory officer at BC Hydro.

25 **PRESENTATION BY MR. SANDVE:**

26 The 2020 transfer pricing agreement

1 replaces the 2003 transfer pricing agreement, and BC
2 Hydro filed the 2020 transfer pricing agreement with
3 the BCUC under section 71 of the *Utilities Commission*
4 *Act* on May 29th, 2020.

5 On July 30th, 2020, by BCUC order number G-
6 204-20, the panel set out the next steps in the
7 process, including this workshop, and identified an
8 initial list of topics. Today's workshop will be
9 transcribed, and the materials that we present will
10 form part of the record. The intent of the workshop
11 today is to help build understanding and bring meaning
12 to the application. We will provide some background
13 information today, especially with regard to Powerex
14 and the markets in which it operates. And in the time
15 we have today we will focus on those questions that
16 the panel identified that are most appropriate for our
17 workshop format in that order. We will answer as many
18 of the initial questions as we can in the time
19 provided, as well as any clarifying questions that may
20 come up as we go along.

21 A couple of things I want to say off the
22 top in terms of our approach to this workshop. First
23 of all, in order to make things productive and to lend
24 it to a workshop format, we may be generalizing at
25 times, and so I want to make it clear that in terms of
26 the record and what we say in the workshop that we may

1 want to clarify things later on in information
2 requests, and the written information request
3 responses should always prevail when comparing today's
4 workshop transcript and the written information
5 request responses.

6 We do expect that there may be questions
7 that are more appropriately addressed through written
8 responses today, and in those cases we will ask you to
9 submit those questions through written information
10 requests.

11 It is also important to note that myself
12 and the other presenters have not prepared today in
13 the way that we would for a typical oral hearing, so
14 again there may be questions that come up during
15 information requests where we have a chance to clarify
16 or add further details. And in the case of any
17 discrepancies between today's workshop and those
18 written answers, you should defer to the written
19 answers and not the transcript from today's workshop.

20 Sorry, just get a second here to get the
21 slides working. There we go.

22 **Proceeding Time 9:03 a.m. T2**

23 So just to go over some technical details
24 before we dive in, during the workshop if you can
25 please leave your video off and your line muted and
26 that way Webex will just run as smoothly as possible.

1 I'll review the agenda for today's workshop in a
2 moment and what we'd like to do today, in terms of how
3 we're going to run things, is at the end of each item
4 on the agenda we'll stop and have time for questions
5 at the end of each section. To ask a question at the
6 end of each section, please use the "raise your hand"
7 function in Webex. If you're not familiar with that
8 function, you can see down at the bottom there a
9 visual of how to do that and your line will be unmuted
10 by the host when you put your hand up.

11 After a question is asked myself and the
12 other presenters may mute our line temporarily to have
13 a brief discussion amongst ourselves before answering.
14 And then the last note I wanted to make here is please
15 avoid using the chat function, if you can, for asking
16 questions and use audio instead. As you can see,
17 myself and the other presenters don't have laptops in
18 front of us here for the chat functions so we're not
19 following the chat function at all.

20 So, with that, for today's agenda, after we
21 get through the introduction part here I'm going to
22 start with a section on key concepts. This is mostly
23 just on foundational background information that you
24 may already know from reading the application but we
25 thought it's important to review off the top because
26 it will help frame some of the more detailed

1 information that we provide further on during the day.
2 Then I'm going to turn over to Mike who's going to
3 provide an overview of Powerex's business and
4 regulatory context. And then Mark is going to provide
5 a Powerex market overview. Then Heather is going to
6 take over and first walk through the challenges that
7 we encountered with the 2003 transfer pricing
8 agreement and then go into details around the terms of
9 the transfer pricing agreement, the 2020 transfer
10 pricing agreement. And then we'll wrap up with a
11 presentation from Mark on Powerex perspective on the
12 2020 TPA.

13 So, as I mentioned, I wanted to start today
14 by reviewing some of the key concepts that I think are
15 helpful in understanding what the 2020 TPA actually
16 does and how it fits into the bigger picture. I'm
17 going to review five key things this morning. First,
18 what's the same between the 2020 TPA and the 2003 TPA.
19 Second, what's different and why we believe (audio
20 drop) better for customers. Third, how the 2020 TPA
21 and the activities of Powerex impact BC Hydro's
22 revenue requirement. Fourth, BC Hydro's
23 organizational structure and how information is
24 communicated between BC Hydro and Powerex. And fifth,
25 the relationship between BC Hydro and Powerex.

26 So starting with what's the same. There's

1 a few key things I want to emphasize. First, the 2020
2 TPA does not change the roles and responsibilities
3 between BC Hydro and Powerex or within BC Hydro and
4 Powerex. And specifically

5 **Proceeding Time 9:06 a.m. T03**

6 And specifically what's important to
7 remember when comparing the two agreements is that BC
8 Hydro remains responsible, as it always has been, for
9 the physical operation of the system, for meeting
10 domestic requirements first, for determining whether
11 there is a surplus or deficit and to what extent there
12 is a surplus or deficit, and for determining how much
13 residual system capability, that's the flexibility of
14 the system for (audio drops) activity after any
15 deficit or surplus is met, is available for that trade
16 activity.

17 Second in terms of what's the same, the
18 2020 TPA does not impact the revenue that ratepayers
19 receive or the cost that ratepayers pay. Ratepayers
20 continue to receive surplus sales revenue, they
21 continue to receive trade income and they continue to
22 pay the costs of electricity imports to meet deficits.

23 And third, the 2020 TPA, like the 2003 TPA,
24 is an enabling agreement. What this means is that we
25 are seeking BCUC acceptance of an agreement that will
26 enable transactions between BC Hydro and Powerex to

1 take place.

2 And to use an example of what this means,
3 one of the questions the Commission panel identified,
4 and which Heather is going to speak to later in more
5 detail, is the wear and tear procedure and whether
6 it's anticipated that any of the transactions or
7 settlements under this agreement would be subject to
8 the Commission's advanced review and approval. And so
9 as an enabling agreement, the 2020 TPA like the 2003
10 TPA does not set out actual transactions, and we are
11 not seeking BCUC acceptance of actual transactions.
12 We are seeking acceptance of the agreement that
13 enables those transactions to occur.

14 Fourth thing that is the same between the
15 2003 TPA and the 2020 TPA is the TPA is an operating
16 tool and not a planning resource. So what does that
17 mean? We often refer to what we call the operating
18 time horizon and the planning time horizon. Our
19 planning time horizon is where we look out 20 years.
20 Through the IRP we look at what we expect the load to
21 be, what our existing and committed resources can
22 provide and what resources we need to build or acquire
23 to fill in the identified gap.

24 Our operating time horizon is our current
25 fiscal year, plus the next two fiscal years. And
26 that's where our supply of resources, or resource

1 stack becomes fixed. And now we have to make sure we
2 have enough supply to meet demand, taking into account
3 variability in load, variability on the system,
4 weather conditions, et cetera.

5 Another item that the panel identified that
6 would be helpful to answer at this point is how
7 transactions under the TPA are considered by BC Hydro
8 from both an operational perspective and from a
9 planning perspective. So Heather will speak to the
10 operational perspective in more detail later, but from
11 a planning perspective the answer is simple. The TPA
12 has no impact from a planning perspective. It's
13 considered in the operating time horizon only, it does
14 not have an effect on our long-term load resource
15 balance, and it's not a resource that we use to meet
16 load requirements. Rather, it's an agreement that
17 enables BC Hydro to acquire electricity cost-
18 effectively, and use its resources in the operating
19 time horizon regardless of any planning horizon
20 decisions that may have been made and the degree to
21 which those decisions affect how long or short BC
22 Hydro is.

23 So now understanding what's the same,
24 what's different? Well, what the 2003 TPA did and
25 what the 2020 TPA continues to do, is both set out a
26 mechanism for recording the price of electricity

1 transfers associated with BC Hydro's energy surplus or
2 deficit, as well as with the residual system
3 capability. That's the flexibility that's left over
4 after meeting any deficit or exporting any surplus.

5 **Proceeding Time 9:10 a.m. T4**

6 Under both agreements the sale price
7 reflects the fair market value at which parties acting
8 on an arm's length basis would be willing to transact.
9 The reason that this is done is to ensure that
10 Powerex's net income represents the value added from
11 Powerex's trade activity and is not conflated with the
12 market value of any surplus or deficit energy in the
13 BC Hydro system.

14 What's different through between the two
15 agreements is how this is achieved. So under the 2003
16 TPA BC Hydro could set either a threshold sale price
17 or a threshold purchase price. These threshold prices
18 were then used to allocate transactions one-day-at-a-
19 time to either BC Hydro for the purpose of exporting
20 surplus energy or importing energy to meet a deficit
21 or Powerex for the purpose of making offsetting
22 purchases and sales in different time periods using
23 that residual system capability. Under this one
24 (inaudible) time allocation and transfer pricing
25 approach, the only way that BC Hydro could indicate a
26 need to purchase or sell energy was to set a threshold

1 purchase price or set a threshold sale price and
2 Powerex would not know until one-day-at-a-time
3 whether, on the basis of the threshold purchase price
4 or the threshold sale price, the net import or net
5 export for that day had been allocated to BC Hydro or
6 allocated to Powerex. And by extension would not know
7 the price that would be paid for that net export or
8 net import and whether it would be the daily Mid-C
9 price or the weighted average price of what was
10 already recorded in the trade account.

11 As Heather will explain later on, this
12 transfer price risk with regard to transactions using
13 the BC Hydro system became an issue with regards to
14 the forward market. In other words, the one-day-at-a-
15 time allocation and transfer pricing approach was
16 built around the day ahead market but it created
17 transfer price risk with regards to transactions using
18 the BC Hydro system in the forward market. And that
19 became an issue over time due to declining liquidity
20 in the Mid-C market, increased potential for
21 variability in the BC Hydro system and opportunities
22 for premium value in the forward markets.

23 So how is the 2020 TPA different? First,
24 it takes an annual pricing approach to valuing BC
25 Hydro's surplus or deficit. This removes the one-day-
26 at-a-time transfer price risk that discouraged Powerex

1 from committing to forward transactions using the BC
2 Hydro system. Second, BC Hydro can now submit a
3 specified quantity request to Powerex, allowing
4 Powerex to go out and acquire or sell that energy over
5 time across all markets instead of relying on one-day-
6 at-a-time threshold price signals. And Heather will
7 speak to both of these concepts in further detail
8 later in the workshop.

9 The next key concept I want to review is
10 with regards to BC Hydro's revenue requirements, and
11 the Panel identified some questions related to the TPA
12 in BC Hydro's revenue requirements. One was how and
13 which decisions made by Powerex impact BC Hydro's
14 ratepayers, both directly and indirectly. And another
15 was the reason for the change in classification of
16 electricity transactions and whether this change was a
17 result of IFRS guidelines.

18 So to start I want to take a look at how
19 transactions under the TPA and decisions by Powerex
20 more broadly impact BC Hydro's revenue requirement.
21 First, we have BC Hydro's cost of energy and that is
22 forecast through our monthly energy studies.
23 Purchases of electricity and thermal generation from
24 Powerex by BC Hydro are a cost and referred to as
25 system imports. Sales of electricity to Powerex by BC
26 Hydro generate revenue that offsets BC Hydro's cost of

1 energy and those are referred to as system exports.
2 Forecasts of system imports and system exports are
3 developed through the energy study and the difference
4 between the forecast and the actual system import and
5 system exports is deferred to the non-Heritage
6 deferral account for future recovery from or refund to
7 ratepayers.

8 System imports and system exports were
9 previously referred to as market electricity
10 purchases, surplus sales and net purchases or net
11 sales to or from Powerex. Net purchases or sales to
12 or from Powerex was the net amount owing to or from BC
13 Hydro from Powerex trade activity using the residual
14 system capability.

15 **Proceeding Time 9:15 a.m. T05**

16 The change in these categories simply
17 reflects how transactions are classified now under the
18 2020 TPA. Under the 2020 TPA, all sales of
19 electricity to Powerex by BC Hydro are classified as
20 system exports, and all purchases of electricity and
21 thermal generation from Powerex by BC Hydro are
22 classified as system imports.

23 As Heather will explain in more detail
24 later, an annual adjustment for the value of BC
25 Hydro's surplus or deficit is made once per year,
26 removing the transfer price risk associated with the

1 2003 TPAs one-day-at-a-time approach to allocating
2 transactions. In other words, this change in
3 presentation reflects the 2020 TPA and was not driven
4 by IFRS reporting standards.

5 Second, in terms of BC Hydro's revenue
6 requirement, we have trade income. And trade income
7 consists both of trade activity using the BC Hydro
8 system as well as activities that are completely
9 unrelated to the BC Hydro system. And the transfer
10 pricing agreement it's important to remember, only
11 deals with transactions related to the BC Hydro
12 system.

13 Trade income offsets BC Hydro's revenue
14 requirements and is forecast using a rolling five-year
15 average of the previous five years. The difference
16 between forecast trade income and actual trade income
17 is deferred to the trade income deferral account for
18 future recovery from, or refund to ratepayers.

19 Powerex generates net income from
20 transactions related to the BC Hydro system in two
21 ways. First, by using its transmission rights and
22 market access and knowledge they purchase or sell
23 electricity at more attractive prices than the price
24 paid to or received from BC Hydro.

25 And second, using the residual system
26 capability, Powerex can make offsetting purchases and

1 sales in different time periods. For example, buying
2 during periods with relatively lower prices and
3 selling during periods with relatively higher prices.

4 That activity I just referred to, the
5 activity of buying, for example, in relatively lower
6 price periods, selling in relatively higher price
7 periods, is different from the net amount owing to or
8 from BC Hydro captured under either system imports or
9 system exports. This is the incremental difference
10 over and above that amount that Powerex is able to
11 capture by buying and selling in those different time
12 periods.

13 As I mentioned, Powerex also generates an
14 income through trade activity completely unrelated to
15 the BC Hydro system. Powerex is active in electricity
16 markets, natural gas markets and environmental
17 products. An example of electricity trade unrelated
18 to the BC Hydro system would be Powerex purchasing
19 energy in the Pacific Northwest and then using its
20 transmission rights and access to sell that energy
21 into California markets. A transaction like this, as
22 you can tell, takes place completely separately from
23 the BC Hydro system.

24 So now to move on to some other items that
25 the panel identified. I will walk through BC Hydro's
26 organizational structure while providing some details

1 on the various departments and how they share
2 information with Powerex.

3 Some of you may be familiar with our plan,
4 build, operate, support organizational structure at BC
5 Hydro. On the plan side, we have our integrated
6 planning business group, which reports to the senior
7 vice president of integrated planning, Maureen
8 Daschuk. And on the operate side, we have our
9 operations business group, which reports to the
10 executive vice president of operations Charlotte
11 Mitha. The integrated planning business group plans
12 the power system, while the operations business group
13 operates the power system.

14 Within the integrated planning business
15 group we have the energy planning business group we
16 have the energy planning and analytics key business
17 group. This key business unit is responsible for
18 developing the integrated resource plan, the IRP.
19 Within the operations business group is Heather's key
20 business unit, the generation system operations key
21 business unit. Heather's group is responsible for
22 looking out over the next hour, the next day, week,
23 month, year, throughout the operating time horizon,
24 and making sure that we're generating enough energy to
25 meet demand at any given time.

26 Heather's team is in constant and ongoing

1 communication with Powerex, and I will provide some
2 details on specific ways that the generation system
3 operations key business unit and Powerex communicate
4 by walking through some of the departments and teams
5 within Heather's group.

6 First we have the system optimization
7 department. That's the department that is responsible
8 for the energy studies, which is a high level forecast
9 of various parameters such as reservoir levels, what
10 imports and exports might be, as well as price signals
11 for our big basins, the Peace and the Columbia.

12 **Proceeding Time 9:20 a.m. T6**

13 Next, we have our operations planning
14 department. This includes two teams, which I'll talk
15 about in more detail. The Next Day Planning Office,
16 which is responsible for coordinating the operating
17 plans for the system as well as the market activities
18 of Powerex traders and scheduling generation for the
19 next day. They're also responsible for assessing and
20 approving short-term outage requests from generation
21 and coordinating on transmission outages that affect
22 generation. The Next Day Planning Office provides
23 Powerex traders with hour-by-hour parameters that they
24 can use to maximize market opportunity against
25 generation export and import capability.

26 The operations planning department also

1 includes the planning, scheduling and operation
2 (inaudible) shift engineers. When you think of this
3 team think of a control centre, individuals in front
4 of a bunch of screens showing what's online and what
5 load is. This team is responsible for optimizing and
6 scheduling hourly generation of the BC Hydro system
7 and IPPs to meet domestic load, electricity trade
8 schedules, treaty and contract obligations, as well as
9 reliability requirements. They identify Powerex trade
10 limits and optimize the system to maximize export and
11 import opportunities. Their communication with
12 Powerex is constant. So constant, in fact, that the
13 members of the team are set up right next to the
14 Powerex trade floor allowing for direct communication
15 in real time between traders and the engineers.

16 Lastly, I just want to spend some time
17 talking about the relationship between BC Hydro and
18 Powerex. So Powerex is a wholly owned subsidiary of
19 BC Hydro and it's a separate legal entity. The
20 Powerex board is appointed by the BC Hydro board of
21 directors and BC Hydro directors and senior management
22 must always make up at least 50 percent of the Powerex
23 board membership. It's important for Powerex to be
24 set up as a separate and independent company from BC
25 Hydro. This provides regulatory and legal protection
26 for BC Hydro and means that Powerex is the one

1 engaging in commercial activities in the United
2 States. What that means is that BC Hydro is only
3 regulated within Canada and is protected from U.S.
4 lawsuits as long as it does not engage in U.S.
5 commercial activity.

6 And with that we've come to the end of this
7 first section. Any questions, happy to take those
8 now. A reminder, if you want to ask a question use
9 the "raise your hand" function, your line will be
10 unmuted and then you can ask your question by audio.

11 I do hear some background noise, I think
12 someone's line has been unmuted if you wanted to go
13 ahead with the question. Heather or Dale, do we have
14 anyone queued up?

15 MS. REIS: (inaudible)

16 MR. SANDVE: Okay, who do we have unmuted for a question?
17 Maybe, Heather, if you can say the name and then they
18 can go ahead.

19 MS. REIS: We don't have any questions yet as far as I
20 can tell.

21 MR. SANDVE: Okay, I'll just wait a few more seconds to
22 see if there's any questions on this section. If not,
23 I will turn the presentation over to Mike.

24 Okay, Mike, go ahead.

25 **PRESENTATION BY MR. MacDOUGALL:**

26 All right. Let me adjust the camera here.

1 Okay, as Dale mentioned at the beginning, my name's
2 Mike MacDougall, I'm the Vice President of Trade
3 Policy and IT with Powerex. And so in the first
4 section here I'm just going to give you a bit of an
5 overview of Powerex and call out some of the
6 distinctions for us relative to BC Hydro.

7 So Chris already introduced this portion,
8 Powerex is a separate legal entity from BC Hydro but
9 we do have an exclusive relationship with BC Hydro
10 with respect to these four areas of transaction. And
11 really, this is what the heart of what the transfer
12 price agreement is, is to provide a framework for
13 title transfer and pricing of transactions related to
14 the purchase and sale electricity between BC Hydro and
15 Powerex as well as the sale by Powerex to BC Hydro of
16 natural gas.

17 **Proceeding Time 9:25 a.m. T07**

18 Now, Chris covered what's actually known as
19 the U.S. *Foreign Sovereign Immunities Act*, and that's
20 the Act that provides the protection to BC Hydro
21 against U.S. litigation so long as they don't engage
22 in U.S. commercial activities. Powerex is also
23 subject to that Act, but it's not because we are a
24 subsidiary of BC Hydro, it's actually because we
25 perform other provincial purposes such as in relation
26 to the Canadian entitlement and other activities. So,

1 just because a subsidiary of BC Hydro exists doesn't
2 mean it is covered under that Act, it depends on the
3 activities.

4 But the key element in this is the
5 independence of those activities. If BC Hydro were to
6 engage through Powerex in commercial activities, it
7 would weaken their protections under this Act. So the
8 independent action Powerex doesn't step into Hydro's
9 determination of system operations, and BC Hydro
10 doesn't step into Powerex's accountabilities and
11 responsibilities for conducting commercial activity.
12 The one benefit we get even though we are subject to
13 U.S. litigation, is litigation against Powerex must be
14 conducted in Federal Court versus State Court, and
15 really that means you're in a broader regional court
16 structure in front of a judge, as opposed to in a
17 state court in front of a jury. So that's the benefit
18 that is derived by that status by Powerex.

19 So, just a quick overview of what we do.
20 This was laid out in the application. We have three
21 main commodity areas; electricity, natural gas and
22 environmental products. We operate predominantly in
23 the West, although more North America wide on the
24 natural gas side.

25 The thing is, we actually conduct a lot of
26 activity wholly unrelated to the BC Hydro system. So

1 the TPA really is again that framework for setting out
2 the transactional relationships between BC Hydro and
3 Powerex, but Powerex, and as Mark will describe
4 further, conducts a lot of activity beyond the BC
5 Hydro system that never touches the BC Hydro system.

6 The environment that we operate in is
7 highly competitive. In this framework prices are
8 determined by the interaction of buyers and sellers.
9 And I will talk a little bit more about the regulatory
10 framework in a coming slide. But we have no captive
11 customers, we need to compete for customers and even
12 once we make a sale, the next sale to that customer is
13 the product of competition. And so it's different
14 than the cost of service vertically integrated utility
15 model, and that has some important ramifications in
16 terms of how we conduct our activity.

17 We are a company that aims to maximize its
18 net income. We turn that net income over to BC Hydro
19 where it is used to reduce the revenue requirements
20 Chris covered earlier.

21 Just some of the key financial numbers for
22 Powerex. In the context of the B.C. system, we
23 actually have two sources of supply. One is when the
24 BC Hydro system has surplus and we make a payment to
25 BC Hydro for that supply. The other source of supply
26 is the Canadian entitlement for which we make a

1 payment to the B.C. Government.

2 Importantly, those are costs to Powerex.
3 So there is a benefit to B.C. from the payment being
4 received, but Powerex has to take those sources of
5 supply at the cost that we receive it and turn around
6 and earn revenues in order to generate our trade
7 income, combined with all the other activity that we
8 undertake. So the trade income is in essence over and
9 above those contributions when you are considering the
10 benefits of trade to B.C. And as stated, it's used to
11 reduce revenue requirements.

12 So, just a little bit about the company in
13 terms of staff, we are basically run predominantly on
14 intellectual capital. We are 180 employees, and for a
15 trading company, it won't surprise you that the
16 largest segment of our staff is in the trading and
17 analytics teams, that are involved in day-to-day and
18 various trading horizons, as well as the analytics and
19 tools that are necessary to support the decision
20 making in that area.

21 **Proceeding Time 9:30 a.m. T8**

22 What can surprise some people is that our
23 next largest department is IT. We do a lot of work in
24 terms of application development, customized tools, in
25 support of both the trading as well as other functions
26 within Powerex, including the reporting and risk

1 management which form our next, sort of, two largest
2 groups. And then the balance of the company in the
3 support areas, legal, compliance, trade policy, sum up
4 to give you the 180 employee total.

5 So just one of the misconceptions that
6 sometimes exists is that Powerex is unregulated.
7 That's actually not true. It's just that the
8 regulatory structure we operate in is different. It
9 is not in a monopoly structure, it's in a wholesale
10 competitive market structure. So within the
11 electricity and natural gas spaces there's a couple of
12 market regulators. That would be the U.S. Federal
13 Energy Regulatory Commission as well as the Alberta
14 Utilities Commission, which regulate competitive
15 markets in the U.S. and Alberta respectively. We also
16 have regulation involved in our cross-border activity
17 for import/exports between the Canada Energy Regulator
18 and the U.S. Department of Energy. There's regulators
19 that we deal with in the clean and renewables space,
20 as well as other agencies, either related to cross-
21 border activities or with related to financial
22 transactions.

23 So outside of British Columbia, as I
24 mentioned earlier, the regulatory framework is really
25 based on competitive wholesale market structures where
26 the prices are determined by the interactions of

1 buyers and sellers or by the outcome of market rules
2 from market operators. And the key element here is
3 that the regulators here establish a framework and
4 rules to ensure that you have competitive market
5 outcomes that are still reliable and operate
6 efficiently. And the regulators, when they have a
7 framework like that that is working well, they accept
8 the prices determined as just and reasonable based on
9 the outcome of competition as opposed to a cost-based
10 justification process. They generally don't regulate
11 or review individual transactions or the business of
12 individual companies, with the key exception being if
13 they find that either actions, transactions or
14 behaviour are inconsistent with market rules or
15 competitive behaviour. So there's a lot of emphasis
16 on market structure, competitive behaviour, standards
17 of conduct in that regard in the markets that Powerex
18 operates in.

19 So a key element to this is to be
20 successful in there markets we have to be agile so
21 that we can actually move to capture opportunities as
22 they arise. You can't take the time to put together a
23 case and, you know, bring it forward for approval, the
24 opportunity is gone. So agility, the ability to kind
25 of see and respond quickly to opportunities is
26 important because the customers aren't waiting. And

1 the other key element is confidentiality. And that is
2 to protect the commercial strategies. If competitors
3 understand our commercial strategies, they'll be able
4 to move to grab opportunities or undermine our
5 opportunities to make these transactions and that's
6 detrimental to our income and then ultimately
7 detrimental to BC Hydro's ratepayers, to the extent
8 that that income gets eroded if we can't perform in
9 that manner.

10 Within B.C. there's a different framework.
11 Obviously, BC Hydro is the primary regulated entity in
12 the relationship between the two parties with the
13 BCUC. Back in 2003 the BCUC did look at Powerex in
14 the context of Heritage contract proceeding. They
15 made a recommendation to government at the time that
16 the oversight should be limited to the review of the
17 income statement of Powerex. But then in 2019 the
18 B.C. government chose to exclude Powerex from Part 3
19 regulation under the *Utilities Act*.

20 **Proceeding Time 9:35 a.m. T09**

21 Now, that doesn't mean that there isn't a
22 nexus between some of the activities going on in B.C.
23 and elsewhere. Powerex files with FERC all BCUC
24 approved changes to the terms and conditions of BC
25 Hydro's open access transmission tariff. That's a
26 requirement because Powerex is granted access to

1 transmission providers' systems in the U.S., and there
2 is in essence a reciprocal obligation for those
3 entities to have similar access to the BC Hydro high
4 voltage transmission system, The wholesale portion of
5 the transmission system. So when Powerex first got
6 what's called our market based rate authority, we
7 filed a version of the pro forma tariff that BC Hydro
8 had submitted to the BCUC in the day, and every time
9 there is a change to that, Powerex files that as a
10 change of status with FERC. And FERC will look at it
11 and determine whether it remains what they call
12 consistent with or superior to their pro forma tariff.

13 Now, importantly this does not apply to
14 rates, so the revenue requirement portion of the
15 transmission that goes through the RRA is not
16 something that Powerex is obligated to file to FERC,
17 as well as it does not apply to retail tariffs,
18 because that's not FERC's jurisdiction in the U.S. So
19 it's purely related to the wholesale transmission
20 access as sort of a comparable treatment between the
21 parties, and that's what drives those types of
22 obligations.

23 And yes, that is my last slide, so I will
24 halt there and so I will try and move the camera back.
25 But give people an opportunity to ask questions.

26 Heather, do you see anyone who has their

1 hand up for questions?

2 MS. REIS: I do not see any questions at this time.

3 MR. C. WEAVER: It's Chris Weaver, and I have a
4 question.

5 MR. MacDOUGALL: Okay, go ahead, Chris.

6 MR. C. WEAVER: Both the first two parts of the
7 presentation you talked of the legal position of
8 Powerex in the U.S., and I just have a question. I'm
9 happy if it gets dealt with in an IR if it's not
10 appropriate for today. But to what extent is the new
11 structure of the new agreement a better structure to
12 protect Hydro and ratepayers and taxpayers from the
13 problems that arose in the early 2000s around lawsuits
14 with FERC and the State of California? Is part of
15 what's going on here an effort to try and mitigate
16 against that? And as I say, I am happy if that gets
17 dealt with at an IR level, I am not trying to drill
18 down on it, but it seems to me it's kind of an
19 elephant in the room in terms of Powerex's dealings in
20 the U.S. and some of the concerns for ratepayers and
21 taxpayers. So could that be addressed today? Or in
22 an IR?

23 MR. MacDOUGALL: I can address that now. That is not
24 the intent of making this change. The 2003 TPA went
25 through that historic litigation. The findings of BC
26 Hydro as a foreign sovereign, and Powerex with its

1 status was determined under that, and the changes that
2 we're making do not change any of those facts. The
3 changes that we're making will be for the reasons that
4 Chris has laid out, and Heather is going to discuss.

5 MR. C. WEAVER: So sorry if I am not catching that, but
6 is the response that the 2003 agreement addressed
7 those risks and issues, and this agreement effectively
8 reiterates those protections?

9 MR. MacDOUGALL: Yes.

10 MR. C. WEAVER: Okay, thanks very much.

11 MR. MacDOUGALL: Okay.

12 MR. C. WEAVER: Chris Weaver, one other question, just
13 a curiosity question. The involvement in the natural
14 gas trading, I'm more -- Burrard Thermal was clearly a
15 large gas generation facility. Are there a lot of gas
16 generation facilities in the BC Hydro system that sees
17 them purchasing significant volumes of natural gas
18 that sort of justify Powerex being in that market? Or
19 is it more just that's another market that Powerex
20 sees opportunity to trade in?

21 MR. HOLMAN: Good morning, it's Mark Holman here.

22 There are three natural gas facilities in the BC Hydro
23 system, and I think your question is more to Powerex's
24 trading activity in natural gas. What I would say at
25 a high level is there is a lot of natural gas
26 generation in the western U.S. and so natural gas

1 markets are very related and very tied to wholesale
2 electricity markets.

3 **Proceeding Time 9:40 a.m. T10**

4 As Mike MacDougall described, we are active
5 in the wholesale electricity markets, in the natural
6 gas markets and in related environmental products.
7 That includes activity entirely unrelated to the BC
8 Hydro system. It enables us to generate net income
9 and those three areas are also very complimentary to
10 one another. Understanding in each of those markets
11 is critical to success in the other markets, and so
12 we're active in all three of those. Again, with a lot
13 of that activity in natural gas occurring outside and
14 separate from BC Hydro's needs for gas to fuel those
15 three plants.

16 MR. C. WEAFFER: Thanks for that. So just order of
17 magnitude, if you looked at BC Hydro's energy
18 generation, what percentage is natural gas driven?
19 Just at a high level.

20 MR. HOLMAN: I'm going to let Heather answer that or BC
21 Hydro could take it in an IR.

22 MS. MATTHEWS: So I think your question is how much is
23 the BC Hydro gas purchases relative to our system.
24 So, as Mark said, there's the three gas plants that BC
25 Hydro either owns or dispatches. The largest one of
26 those is (audio drop) generation on Vancouver Island.

1 And it's capability is about 2,000 gigawatt hours a
2 year. And our system load is more like in the (audio
3 drop) 55,000, 60,000 gigawatt hours (audio drop). So
4 the amount of gas that Hydro uses to meet our load is
5 really quite small. Like the number that we're often
6 putting out is that we're 98 percent clean in our
7 generation.

8 MR. C. WEAFFER: Thank you.

9 MR. MacDOUGALL: Looks like there might be a hand up from
10 Melissa Davies? Are you able to unmute yourself
11 Melissa?

12 MS. DAVIES: Hello?

13 MR. MacDOUGALL: Yeah, we can hear you.

14 MS. DAVIES: Okay, thanks. Melissa Davies with AMPC. I
15 was just curious about the environmental products that
16 you guys have spoken on, like what exactly that
17 includes and how new that area is, where you see it
18 going. Or if you're talking about it later, I
19 couldn't get back to the agenda. I just wanted to get
20 a bit more background on that item.

21 MR. HOLMAN: Thanks, Melissa, it's Mark Holman here. I
22 am going to touch a little bit on environmental
23 products later, so hopefully it'll give you a bit of a
24 high level of that area. In terms of how new it is, I
25 would say that really the early days were back in, off
26 the top of my head, kind of 2006 and it has been a

1 growing area for our business and I'll touch on a
2 little bit of what that looks like and where the key
3 opportunities are today.

4 MS. DAVIES: Okay, thank you.

5 MR. AUSTIN: It's David Austin speaking, can you hear me?

6 MR. MacDOUGALL: Yes, David, we can hear you.

7 MR. AUSTIN: The question that I have is that BC Hydro
8 transferred its transportation rights for natural gas
9 on the Enbridge system over to Powerex. What's BC
10 Hydro doing with those -- excuse me, what's Powerex
11 doing with those transportation rights?

12 MR. HOLMAN: So let me just say this at a high level.
13 Not here to talk about natural gas and how we transact
14 specifically in the market. Obviously, getting into
15 the details of our commercial activity is a difficult
16 area to discuss. If you have questions about natural
17 gas, again, I would suggest that perhaps an
18 information request to BC Hydro would be the better
19 path.

20 MR. MacDOUGALL: I don't see any other hands. Give a
21 minute in case there's any other questions, otherwise,
22 Chris, is it a 15-minute break?

23 MR. SANDVE: Yeah, we had scheduled for a 15-minute. We
24 are running a bit ahead of time so we might make sense
25 to say 20-minutes and come back at five after 10:00,
26 does that -- I'll just wait a second to see if that

1 works.

2 Okay, we'll see everyone back here 10:05.

3 **(PROCEEDINGS ADJOURNED AT 9:46 A.M.)**

4 **(PROCEEDINGS RESUMED AT 10:05 A.M.)** **T11/12**

5 MR. SANDVE: Okay, welcome back everyone. We'll going
6 again. The next item on the agenda is a Powerex
7 market overview from Mark.

8 So, Mark, over to you.

9 **PRESENTATION BY MR. HOLMAN:**

10 MR. HOLMAN: Thanks, Chris. Just one moment.

11 So good morning, my name is Mark Holman.
12 I'm a managing director at Powerex. I manage the
13 wholesale electricity trading and marketing functions
14 at Powerex. Before I begin I wanted to just give you
15 an overview of what I'm going to discuss in this
16 section. This morning I'm going to cover three key
17 areas of wholesale electricity markets in the western
18 U.S. and Canada.

19 First I'm going to provide a high-level
20 overview of wholesale electricity markets, including
21 the four distinct geographic regions that wholesale
22 purchases and sales transactions take place, as well
23 as the three different timeframes that these
24 transactions occur in and how these timeframes apply
25 in each geographic region.

26 Second, I'm going to briefly discuss the

1 highly competitive environment that Powerex operates
2 in. And finally I'm going to turn our attention to
3 two key trends we are witnessing in wholesale
4 electricity markets in recent years, namely resource
5 adequacy and state environmental policy, objectives
6 and associated programs. Importantly, both of these
7 trends are expanding sales opportunities in the
8 forward wholesale electricity markets, not only in
9 terms of volume, but also in terms of premium prices
10 for sales.

11 So hopefully you can see up on the screen
12 now a map that shows what is referred to as the
13 Western Interconnect. So that broader region you see
14 there, which is predominantly comprised of two
15 Canadian westernmost provinces and eleven states, and
16 then small parts of three others, is what we refer to
17 as the Western Interconnection. And in Powerex
18 business we often call this western markets. And the
19 reason it's comprised of this region is that there is
20 substantial high voltage transmission connections
21 between generators and load throughout this region,
22 but very limited transmission connections connecting
23 this region to the rest of North America, primary the
24 Eastern Interconnection that comprises most of the
25 rest of Canada and the U.S.

26 So when we talk about western wholesale

1 electricity markets or the Western Interconnection,
2 we're talking about this footprint where purchases and
3 sales occur across this region and energy is delivered
4 from generators to loads.

5 Now, wholesale electricity transacts in
6 four somewhat distinct regions in the west: the
7 Alberta market, the Northwest market, the California
8 market and the Southwest market, which we often
9 include the Rockies region.

10

11

Proceeding Time 10:08 a.m. T13

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

Wholesale electricity in these four
different regions in the Western Interconnect,
transact under two different market structures at a
high level. One market structure is what we refer to
as bilateral markets. Bilateral markets are really
quite simple. It's where an individual purchaser and
an individual seller transact electricity and a
physical delivery takes place. In contrast, and what
you can see there that I just brought in is what is
referred to as organized markets or sometimes called
structured markets. These markets in the west exist
in Alberta and California, and they operate quite
differently from bilateral markets. How are they
different? There is a centralized counter-party where
all potential suppliers offer their energy through

1 submitting bids into software, and the centralized
2 counter-party seeks to dispatch or award the lowest
3 price offers to meet the demand. And so really you
4 have a clearing process with bids being submitted and
5 a market operator clearing supply against the needed
6 demand.

7 Now, I just talked about four different
8 regions, but when you take a look at the next level
9 down, I thought I would provide a little bit more
10 context about the number of different locations that
11 Powerex transacts in, as well as the volume of
12 deliveries. And so we went back and we looked at our
13 2019 data, and these numbers I am showing you here are
14 kind of high level round numbers of what we saw,
15 really to give you a sense of the scale of Powerex's
16 activity in western wholesale electricity markets.

17 So what you can see here on the map are
18 actual locations of transactions, and Powerex buys and
19 sells electricity at over 80 locations across western
20 North America. So I'm sure you can see that dark blue
21 dot at the B.C. - U.S. Border, and also that circle
22 connecting B.C. to Alberta, where Powerex is an active
23 participant selling power to Alberta and also
24 importing in some hours. But what you will also see
25 on that map, I will turn your attention to is those
26 four purple circles, the larger ones. Those are most

1 commonly, the four most prominent trading hubs in the
2 west. So that one up in the north, in central
3 Washington is the Mid-C trading hub, you can see in
4 Northern California what is referred to as the NP15
5 trading hub or northern California trading hub. In
6 Southern California there is a trading hub, and then
7 there is one in the southwest, referred to as Palo
8 Verdi.

9 The green circles identify import and
10 export locations to and from the California market.
11 So in each of those green circles you can inject power
12 into the California organized markets, or make a sale
13 to the California organized markets, or make a
14 purchase from the California market. And in the blue
15 circles are where bilateral transactions (inaudible).
16 So we thought this was a good representation to give
17 you a general sense of the number of different
18 locations where Powerex is transacting energy.

19 So how about volume? Well, in 2019, when
20 we took a high level look at our data, we executed
21 approximately 110,000 separate physical deliveries.
22 Those physical deliveries include transactions that
23 could be hourly, daily, and even monthly, quarterly,
24 and entire summer seasons as well as annual. And it
25 includes transactions not only where we are exporting
26 from the BC Hydro system, surplus energy, or using the

1 residual capability, importing energy to BC Hydro.
2 But as previously mentioned, Powerex also has a lot of
3 activity where we are moving power from one location
4 to another entirely in the U.S. to generate trade
5 income using our transmission rights, and moving power
6 to customers from generation to load.

7 Now, how do we do that? Well, we took a
8 look at how many different distinct transmission paths
9 did we utilize. And I am going to talk a little bit
10 more about that, but using transmission paths we
11 utilize 2500 distinct transmission paths to move power
12 to and from the BC Hydro system, and also to and from
13 locations entirely in the U.S.

14 Turning our attention to competition, so as
15 Mike touched on, Powerex participates in a highly
16 competitive environment. So who do we compete with?
17 Well, we compete with banks and hedge funds, energy
18 service providers, international energy companies and
19 utilities. And we thought we would just throw up a
20 few of those entities up on the screen to just give
21 you a sense of the diversity of the entities that
22 we're competing with.

23 **Proceeding Time 10:13 a.m. T14**

24 Entities such as Morgan Stanley, Direct Energy, Shell
25 has a very active trading arm of Shell Energy,
26 TransAlta, entities like Avangrid who are heavy in the

1 wind and renewable space, and so quite a diverse
2 group.

3 What is also interesting in the wholesale
4 electricity industry is many of your competitors, in
5 fact most of your competitors, are also your
6 customers. And what I mean by that is that in some
7 hours or some days, weeks, months Powerex may be
8 looking to sell energy and an entity on this list
9 might also be looking to sell and we're both competing
10 to get the sale to purchasers across the western
11 markets. But in other periods one of us might be
12 looking to purchase and the other entity is looking to
13 sell and we'd become each other's customers. So our
14 customers are our competitors and our competitors are
15 often our customers.

16 Where do we compete? So of course we
17 compete in wholesale electricity products, we're
18 competing to purchase energy when it's lower priced
19 and seek out those opportunities where we can acquire
20 wholesale electricity at least cost. We're also
21 competing to make sales of wholesale electricity to
22 where the demand is the greatest across the western
23 interconnect.

24 But importantly, transmission, it's not
25 just the wholesale electricity we're competing in,
26 we're also competing for transmission rights. And

1 what we mean by that is, Mike MacDougall touched on
2 this open access transmission framework where entities
3 participating in the market compete to acquire
4 transmission rights. And when you acquire those
5 transmission rights through competition it's only once
6 you acquire those transmission rights that you are
7 then able to move power from one location to another
8 and execute on purchases and sales in different
9 locations.

10 We touched on natural gas. So, similar to
11 wholesale electricity products and transmission
12 rights, we also compete for natural gas purchases and
13 sales in the wholesale space and for gas pipeline
14 transportation to move gas from one location to
15 another. And then in an environmental products and
16 services, and I'll touch on this in a little bit more
17 detail on a future slide.

18 But also beyond the wholesale electricity
19 products and transmission, natural gas products and
20 transportation and environmental products and
21 services, there's also competition for commercial
22 staff. As Mike touched on, our people are our
23 greatest assets and commercial staff are often highly
24 sought after throughout the industry because it's a
25 very -- it's a skill that is developed over many
26 years. And then we also see quite active competition

1 in market design and regulatory forums where entities
2 will participate in those forums seeking to see new or
3 modified market rules that position them better to be
4 successful in the competitive markets. So, again, the
5 key takeaway is that we operate in a highly
6 competitive commercial environment.

7 Okay, trading timelines. I'm going to warn
8 you, this slide's a little bit more dense, so I'm
9 going to bring back up the four regions and I'm going
10 to talk about, as you see in the application, the
11 three general timeframes of wholesale electricity
12 markets and go the next level down and talk about how
13 these timeframes apply in each of those four regions.
14 So those three timeframes are the forward timeframe,
15 the day-ahead timeframe and the real-time timeframe.

16 I'm going to start from the left. So in
17 the forward time frame the products that we typically
18 see, the duration of sales, durations of purchases are
19 a balance of month. So if we were to execute a
20 transaction today, September 22nd, for the balance of
21 September that would be for deliveries from September
22 23rd through the 30th. Monthly, quarterly, season. So
23 a season might be three months, four months, five
24 months, six months. For example, May through October
25 or November through March are our common seasonal
26 products that we see out there for the summer and

1 winter seasons respectively. And then a year or
2 multiple years.

3 The day-ahead market is a market for the
4 next day. Sometimes it's the next two days. And the
5 reason it's in the next two days is often because of
6 weekends and holidays. So for example, on a Friday
7 you transact power for Sunday and Monday, because
8 trading does not occur in the day-ahead market on
9 weekends.

10 **Proceeding Time 10:17 a.m. T15**

11 And then there is the real-time market
12 which is intra-day. Real-time market trades in
13 different time steps, there are often transactions for
14 the next hour. So if you are trading at say 11:15
15 A.M. you execute a trade for one hour, that will often
16 be for delivery from 12:00 P.M. to 1:00 P.M. We also
17 see transactions for blocks of consecutive hours. So
18 often you could have customers seeking to purchase
19 energy for the afternoon, let's say from 4:00 P.M. to
20 9:00 P.M., and they are executing that transaction in
21 the morning as a purchaser seeking supply to meet
22 their evening peak. And then we also see very short
23 duration transactions, as short as 15 minute and 5
24 minute transactions.

25 Now, I'm going to talk about each of these
26 and how they apply both the bilateral and organized

1 markets in each of the four regions in each of those
2 time frames.

3 So, in the Northwest region, in the forward
4 timeframe, the most commonly traded duration we see is
5 each of those durations, balance a month, monthly,
6 quarterly, season, yearly, in a bilateral structure
7 where the delivery is typically in on-peak or off-peak
8 periods. And so I will describe the on-peak so that
9 you can get a better understanding.

10 On-peak is Monday through Saturday for
11 delivery 6:00 A.M. to 10:00 P.M. So, remember I
12 talked about that making a balance a month transaction
13 today, for September 23rd through the 30th, well if you
14 made that balance a month transaction for the on-peak
15 hours, it would be for every day, Monday through
16 Saturday for the rest of the month, for a delivery
17 from 6:00 A.M. to 10:00 P.M. And of course off-peak
18 also trades. Again, these transactions are bilateral,
19 where a purchaser is executing a transaction with a
20 seller.

21 In the day-ahead market, it is very
22 similar. It is 16 hour and 8 hour blocks, it is
23 bilateral, but it's for the next day, or next few
24 days.

25 And then in real-time it gets a little more
26 interesting, where it's bilateral for one or one to

1 four, or four to six, any number of hours that the
2 purchaser and seller agree to through negotiations.
3 This is also where the western energy imbalance market
4 resides, which is a relatively new organized market
5 where 15 minute and 5 minute transactions take place.

6 It's important to note, however, the
7 western energy imbalance market is a relatively small
8 market, because you are just transacting 15 minute or
9 5 minute power as you move through the hour.

10 Alberta, Alberta is quite a bit different,
11 and I am going to talk about it from Powerex's
12 perspective. Our participation is really
13 predominantly Alberta hourly transactions that are
14 imports and exports that occur in real time, in one
15 hour blocks, one hour at a time. And there is
16 actually very limited physical transactions in the
17 day-ahead and forward time frame.

18 Turning our attention to California,
19 California in the forward time frame is similar to the
20 Northwest. Bilateral transactions most typically in
21 16 hour or 8 hour blocks, but again, could we balance
22 a month for an entire month? Multiple months? A
23 quarter? A season? A year or longer?

24 In the day-ahead time frame, you can have
25 both bilateral transactions in that 16 hour, 8 hour.
26 We see that predominantly in those white areas you see

1 on the map in California, where some areas of
2 California, most notably, Sacramento, Sacramento
3 Municipal Utilities District, and Los Angeles
4 Department of Water and Power, are not inside the
5 organized market, so they often are transacting in 16
6 hour and 8 hour bi-lateral transactions. Where as
7 what's referred to as the CAISO, the California
8 Independent System Operators organized markets. There
9 is transactions that are imports and exports, in
10 hourly duration that occur day ahead. This market
11 actually operates seven days a week. So there is
12 actually transacting occurring on Saturday and Sunday
13 for the next day.

14 And then in real-time, we see bilateral
15 transactions again, most typically with that white
16 area that you see in California. The Sacramentos, the
17 Los Angeles, and a few others. But also California
18 imports and exports hourly.

19 The southwest is really virtually identical
20 to the northwest. It is a bilateral market in the
21 forward and day ahead time frame for 16 hour and 8-
22 hour blocks. It is bilateral in real-time for one or
23 more hours. And this is where again, the western EIM,
24 energy imbalance market resides for transactions, 15
25 minute and 5 minute blocks.

26 Now, that's a lot that you can see up on

1 the screen, and these are just the most common
2 transaction durations in each region in each of the
3 three different time frames. There are also custom
4 transactions that take place, where a customer can be
5 seeking certain non-standard hours a day, maybe a six
6 hour strip for a month and a half, or for a particular
7 four month strip of energy, and we are very active in
8 those transactions as well. So a very complex
9 environment.

10 **Proceeding Time 10:23 a.m. T16**

11 Again, I take you back to the previous
12 slide, 110,000 transactions through a mix of these
13 different predominant timeframes and regions, but also
14 custom transactions.

15 Two final points I want to make is that the
16 forward and day-ahead markets generally transact
17 greater volumes. So the real-time market is a smaller
18 market by volume, and that is of course understandable
19 because the real-time market is transacting one or a
20 few hours. The real-time market is also the last
21 market and many entities are transacting to meet their
22 needs, whether they have surplus power or they're
23 looking to purchase to meet a deficit or to displace
24 their own internal resources, they often transact
25 those needs in the forward and day-ahead timeframes.

26 And then the second point I wanted to make

1 is that resource adequacy and environmental policy
2 objectives are increasing opportunities in the forward
3 timeframe, both from a volume perspective, but also a
4 premium price perspective for sales opportunities.

5 So I'm going to touch on each of those
6 next. So the first one I'm going to talk about is
7 what is resource adequacy and how does it create
8 expanding opportunities, particularly in the forward
9 markets. So a resource adequacy program – the only
10 one of which currently exists in a formal way is in
11 the State of California – is where the load serving
12 entities -- so this might be a utility, such as
13 Pacific Gas and Electric, Southern California Edison,
14 it may also be a community choice aggregator who is a
15 smaller entity who serves load, it can also be a
16 direct service provider, someone who is providing
17 retail access supply to a relatively small group of
18 customers. All of those load serving entities are
19 required under the CP -- under the California Public
20 Utilities Commission's Resource Adequacy program to
21 secure sufficient capacity, or alternatively forward
22 firm energy that provides that capacity attribute, to
23 meet their peak demand and that of course includes a
24 planning reserve margin to ensure that they have
25 sufficient supply to ensure reliability.

26 As I mentioned, California has the only

1 resource adequacy program in the west. However,
2 Northwest entities may soon have their own resource
3 adequacy program. There is actually an initiative
4 underway at the Northwest Power Pool to develop a
5 resource adequacy program in the Pacific Northwest.
6 The market implications of these resource adequacy
7 programs is that entities again are required to
8 acquire forward firm energy supply or forward capacity
9 to meet this need. So it means in the forward
10 markets, they will pay a premium all else equal,
11 particularly for the summer season in California,
12 perhaps the summer and winter season in the Northwest,
13 to acquire the same supply that they might otherwise
14 have acquired in the day-ahead or real-time markets
15 because it meets this additional need of providing
16 resource adequacy to ensure reliability and to
17 demonstrate that they have met the requirements of the
18 resource adequacy program.

19 But what it also means is to the extent
20 that entities seek to acquire forward-firm energy
21 and/or capacity in the forward markets, they may have
22 less need to acquire it in the day-ahead markets
23 because they've already taken care of their needs,
24 reducing day-ahead market liquidity.

25 Now, I thought I would share a quote from
26 the California Public Utilities Commission that kind

1 of hits this point home that as we're seeing the
2 western grid tighten with the retirement of coal
3 generation in the desert southwest, some retirements
4 of coal in Alberta, and some really extensive
5 retirements of natural gas generation in California,
6 that the need for imported power to meet resource
7 adequacy is growing, and growing quite rapidly in
8 recent years. So here's a quote from the California
9 Public Utilities Commission back from November 2019.
10 One thing I wanted to note is that although the
11 California Public Utilities Commission administers
12 this program, it really originated back from a
13 legislative requirement many years ago. So,

14 "We also encourage LSEs to explore options for
15 forward contracting of firm imported power with
16 counterparties with available power to commit."

17 **Proceeding Time 10:28 a.m. T17**

18 So the California Public Utilities
19 Commission is encouraging the load serving entities,
20 the utilities, the community choice aggregators, the
21 retail service providers, to contract for firm
22 imported power to meet this resource adequacy need as
23 they continue to retire their thermal resources.

24 The second part I want to highlight is that
25 firm forward contracting for clean imports, so not
26 just any imports but entities that have clean

1 generation, will improve the reliability situation for
2 California in the short-term. And we at Powerex have
3 really seen the resource adequacy program become more
4 important in terms of opportunities to sell clean
5 power sourced from the BC Hydro system, whether that
6 be BC Hydro surplus power using the residual system
7 capability, become a much more important opportunity
8 in recent years, which we expect to continue in the
9 years ahead.

10 The second expanding opportunity that I
11 wanted to talk about in the forward markets, and there
12 was a question earlier about this, is State
13 environmental policy objectives. So the first thing
14 to note is that State level environmental policy
15 programs are fragmented and constantly evolving.
16 There are numerous environmental policy programs that
17 affect the wholesale electricity markets and create
18 opportunities, but they are fragmented, they're at a
19 State level and they're constantly changing.

20 Generally speaking, they create premium
21 value for clean and/or renewable supply that qualifies
22 to meet the applicable program that is delivered to
23 the applicable State. So typically the premiums for
24 clean and renewable supply originate from meeting an
25 environmental policy program or objective and where
26 that power qualifies to meet that and is delivered,

1 through those transmission rights I previous talked
2 about, to the applicable State.

3 California currently presents the largest
4 sales opportunity. And I just highlighted three key
5 areas where those opportunities exist in the
6 California environmental policy program. So they have
7 a renewable portfolio standard where wind, solar,
8 geothermal can qualify to meet that renewable
9 portfolio standard and create premiums for wind,
10 solar, geothermal, other qualifying renewables that
11 are able to be delivered to the State of California or
12 are actually located within the State. There's the
13 Green House Gas Cap and Trade program that went live
14 in 2013. And then there's the Power Content Label,
15 which is a program in which the load serving entities
16 need to report in a transparent manner the different
17 technologies of the source that is being provided to
18 serve their demand, including imports.

19 All of these three create increased
20 opportunities for forward sales. In Washington there
21 is the *Clean Energy Transformation Act* that is under
22 development and there are also Oregon programs under
23 development.

24 The most important takeaway from this
25 though is that most of the sales opportunities to
26 capture those premiums, both in terms of selling in

1 the forward markets and earning that premium price,
2 are in the forward markets. And that's largely
3 because entities are seeking to meet a need generally
4 on an annual basis and they're not desiring to wait
5 until day-ahead or real-time to meet that need but
6 often looking to contract multiple months ahead of
7 time, sometimes for the upcoming season, the upcoming
8 years or balance of year, to meet that need.

9 That's all I had. So then we will pause
10 there and see if there's any questions.

11 MR. AUSTIN: David Austin speaking. I've got a number of
12 questions. And the first question relates to BC
13 Hydro's most recent service plan or annual report.
14 I'm not exactly sure why they put the term "service
15 plan" in there, but I'll just report to it as the
16 annual report. In the annual report in note 25 it
17 says,

18 "Powerex has energy purchase commitments with an
19 estimated minimum payment obligation of 1.72
20 billion extending to 2034."

21 It then goes on to say,

22 "The total Powerex energy purchase commitments
23 are estimated to be approximately 512 million
24 for less than one year, 1.19 billion between one
25 and five years and 24 million for more than five
26 years. Powerex has energy sales commitments of

1 473 million extending to 2031, with estimated
2 amounts of 314 million for less than one year,
3 147 million between one and five years and 12
4 million for more than five years."

5 **Proceeding Time 10:33 a.m. T18**

6 And the question that I have is how many of those
7 commitments or what value are those commitments
8 directly relate to the BC Hydro system?

9 MR. HOLMAN: So, David, I'm not familiar with what
10 you're referring to on the Powerex side. I would
11 really suggest that if you have a question that's
12 related to something that is filed, that perhaps that
13 would be best suited to an information request
14 submitted to BC Hydro.

15 MR. AUSTIN: I appreciate that answer, but a lot of
16 times what happens when questions are asked in BCUC
17 regulatory proceedings about Powerex, the answer comes
18 back that Powerex is not regulated by the Utilities
19 Commission and no answer is given. So I just thought
20 this might an opportunity to understand what the
21 relationship is between Powerex and BC Hydro in
22 relation to energy purchase commitments that are
23 listed in BC Hydro's annual report.

24 MR. HOLMAN: I'm not sure that this workshop is the
25 best place to answer questions related to the annual
26 report. I think as Chris described, we really came

1 here to discuss and answer the questions put forward
2 associated with the 2020 Transfer Pricing Agreement.
3 Again, I think that that question is best put forward
4 in an information request to BC Hydro where the right
5 people can take a look at the question and see if they
6 can give a response.

7 MR. AUSTIN: Well, let's put this another way. When I
8 look at the Transfer Pricing Agreement, I don't see
9 limits on the term of transactions between BC Hydro
10 and Powerex. And I see on the annual report
11 commitments of Powerex up to 2031, so that's an 11
12 year commitment. For the purposes of making sure that
13 the BC Hydro system is not overcommitted to export
14 markets, whether they be in Alberta or United States,
15 shouldn't there be some sort of limit on any
16 commitment in the purchase agreement that BC Hydro
17 makes to Powerex?

18 MS. MATTHEWS: So as we've said, this is a question for
19 the IR. So, David, if you could -- want to submit it
20 to IR, that's -- you're welcome to do so.

21 MR. AUSTIN: Thank you. And just also in relation to
22 the actual terms of the agreement between Powerex and
23 BC Hydro, the former agreement was executed back in
24 2003 and is now being revised today, so that's 17
25 years. And this evening Elon Musk is going to do a
26 presentation in terms of battery technology and where

1 storage reservoirs in the California market?
2 MR. HOLMAN: David, what I would say at a high level, I
3 take you back to I think it was my last slide that
4 state environmental policy programs are fragmented and
5 constantly evolving. So there isn't one program. So
6 for example, under their renewable portfolio standard,
7 certain resources qualify while others do not, yet
8 under their cap and trade program, instead looking at
9 particular technologies they are looking at greenhouse
10 gas emissions. And then yet again under their product
11 content label, different load serving entities may
12 have a preference for different technologies to be
13 reported as the source. So it's not a single answer,
14 because it is not a single program and they are
15 constantly evolving.

16 What I would say is that clean, firm power
17 such as that that can be provided from the BC Hydro
18 system is very well situated to meeting the demand in
19 California for both resource adequacy for upcoming
20 summer seasons, and for those environmental state
21 policy programs. And that's really one of the reasons
22 I highlighted it today, is this is an expanding
23 opportunity in the forward markets where we are seeing
24 transactions increasingly occur.

25 MR. AUSTIN: Although it may be well situated, are the
26 Californians willing to purchase electricity generated

1 from large hydroelectric facilities in the context of
2 the programs as you know them today?

3 MR. HOLMAN: The short answer to that is yes,
4 absolutely.

5 MR. AUSTIN: Just my final, final questions is that is
6 anybody actively planning or building new transmission
7 between British Columbia and the markets in -- or more
8 to the point, potential markets in Northern or
9 Southern California?

10 MR. HOLMAN: I think I'm going to answer that this way,
11 David, is that when you come back to one of those
12 earlier slides, you saw the number of distinct
13 transmission paths that we schedule power on. So the
14 first part of the answer is no, I'm not aware of any
15 transmission line that provides a new single path from
16 B.C. to California. Having said that, again, the
17 connection between B.C. and California, or the
18 Northwest and California, is clearly not a single
19 path, and we do see different transmission project
20 upgrades, as well as new lines under development, as
21 well as some under consideration, that could increase
22 the power flow from the Northwest of that Western
23 Interconnect region I described to the southwest. So,
24 the transfer capability may increase in the years
25 ahead, depending on how these upgrades and new
26 projects play out. But unfortunately, it's not as

1 simple as a single line.

2 **Proceeding Time 10:43 a.m. T20**

3 MR. AUSTIN: I appreciate it's not as simple as a
4 single line, but in the last 20 years it doesn't seem
5 as if there has been much investment in transmission
6 that it would allow exports from British Columbia to
7 the markets in California on a cost-effective basis.

8 MR. HOLMAN: It sounds like a statement. I'm not sure
9 what the question is, but I would say this. You know,
10 coming back to the presentations this morning, the
11 2020 transfer price agreement is in the operational
12 timeframe. And there is surplus energy that arises in
13 the operational timeframe, there are deficit needs and
14 there is residual capability that between BC Hydro and
15 Powerex we are collectively seeking to maximize the
16 value of that.

17 Now, Powerex does have significant
18 investments in long-term transmission connecting BC to
19 California and uses those rights to make sales to
20 California, including from the BC Hydro system, in
21 support of that over-arching objective.

22 So I'm not sure if that helps you, David.
23 I'm not sure there was a question in your statement.
24 Did I capture what you were looking for?

25 MR. AUSTIN: I think that you said in terms of this
26 agreements, I'd like to confirm it, that we're

1 dealing, in terms of this agreement, with the
2 operational timeframe only. Is that correct?

3 (Multiple voices in agreement)

4 MR. AUSTIN: And how long is the operational timeframe?

5 MS. MATTHEWS: So I spoke to this a lot in the RRA, so we
6 talked about it from zero to three years or more
7 specifically it's the current fiscal year plus the
8 next two fiscal years. So that's the timeframe that I
9 have accountability to make sure that we have
10 generation on to meet load. And it's not, and Chris
11 talked about this a bit, it's separate from the IRP,
12 the integrated resource plan, that looks at longer
13 term new acquisitions. In the operation timeframe I
14 basically have what I have to operate the system to
15 meet load. And one of those tools is imports and
16 exports of surplus and importing when we have
17 deficits. So the TPA is in that operational timeframe
18 and it's under my accountability for implementing
19 this.

20 MR. AUSTIN: So this transaction would not cover --
21 excuse me, this agreement would not cover any
22 transactions that go beyond the operational timeframe,
23 which appears to be a maximum of two years, is that
24 correct?

25 Is anybody still on the line?

26 MR. SANDVE: Just one moment.

1 MR. HOLMAN: I think the way to answer your question is
2 set out in the application. The transfer pricing
3 agreement covers transactions between BC Hydro and
4 Powerex in that operational timeframe that Heather
5 just described. It is not covering transactions
6 between Powerex and its customers in wholesale
7 electricity markets.

8 MR. AUSTIN: But I'd just like to confirm that the
9 operational timeframe is a maximum of two years, is
10 that correct?

11 MS. MATTHEWS: So the operational timeframe is the rest
12 of the fiscal year plus two additional fiscal years.
13 And that we've talked a lot about in the RRA
14 application.

15 MR. MacDOUGALL: David, I do see other hands raised, so I
16 think we've given you a good opportunity and I think
17 we can come back if there's continued questions. But
18 I do see Aidan Kehoe has his hand raised so I'd like
19 to give some other folks an opportunity to get
20 questions in?

21 **Proceeding Time 10:48 a.m. T21**

22 MR. AUSTIN: Certainly, go right ahead.

23 MR. MacDOUGALL: Hi, Aidan? You are muted?

24 MR. KEHOE: Hi, I am Aidan from the -- Yeah, can you
25 hear me?

26 MR. MacDOUGALL: Yes.

1 MR. KEHOE: Hi, Aidan Kehoe of the BCUC here. So I
2 just had a question on the slide about the adequacy
3 requirements. That statement there that said that it
4 creates premium values of clean and renewable supply.
5 And one question I had here was about how that supply
6 from a clean or renewable resources is guaranteed, and
7 kind of the mechanisms or the markets that's in place
8 that guarantees the power delivered by Powerex to
9 California, for example, is from a renewable resource.
10 Just a bit of background on there if you could, that
11 would explain?

12 MR. HOLMAN: Aidan, I'm not sure I fully could hear
13 that, it was a little bit faint. Were you asking
14 about resource adequacy or about the second slide on
15 environmental state policy and renewable and clean
16 programs?

17 MR. KEHOE: Yeah, the clean side of things I was asking
18 about. So one of the things was about the value from
19 clean and renewable supply, but I wanted to know how
20 that market, when you sell supply into California, how
21 that guarantee and the mechanism to guarantee that
22 that supply is from a green resource, as it were?

23 MR. HOLMAN: So, unfortunately there is not a clear and
24 straightforward answer, because as I described before,
25 there is different programs, and each of those
26 programs has its own rules and regulations that apply.

1 So for example, the Cap and Trade program
2 has a series of rules and regulations to determine how
3 you determine the greenhouse gas emissions with
4 imports into the States. Whereas the Renewable
5 Portfolio Standard program has a different approach
6 and actually has different categories within that
7 program to determine which category you qualify for
8 and what the requirements are to meet it. So there is
9 no single answer in terms of it's not a single market,
10 and it's not a straightforward single set of rules.
11 Unfortunately it's quite a bit more complex, and it
12 varies by program.

13 Having said that, Powerex is very active,
14 both in those markets to seek out and acquire that
15 premium value, and also in the development of those
16 rules and regulations as they are shaped as an active
17 stakeholder advocating for B.C. resources to qualify
18 towards those programs, to open up those opportunities
19 to acquire those premium value for the clean resources
20 in B.C.

21 MR. MacDOUGALL: Are there any other questions? Or
22 Aidan? Did you have a follow-up? Oh, I see James has
23 put up his hand.

24 MR. WEIMER: Yes -- can you hear me?

25 MR. MacDOUGALL: Yes.

26 MR. WEIMER: Okay, just in regard to that resource

1 the requirement goes out to annual. Does it go beyond
2 that?

3 MR. HOLMAN: California's resource adequacy requirements
4 at a system wide level are year ahead and month ahead.
5 They are examining whether they go as much as three
6 years ahead in the future. Again, with all of these
7 program the rules are often evolving over time. But
8 in terms of how the program that imports into
9 California qualify for, that generally takes place on
10 a year ahead for the bulk of the (inaudible) with some
11 remaining amount being able to be procured, I think
12 it's 45 days prior to the delivery month.

13 MR. WEIMER: So, so far it's not going (audio drops)
14 longer than one year but possibly it goes into three.

15 MR. HOLMAN: Sorry, I couldn't quite hear that. Do you
16 have volume, Mike?

17 MR. WEIMER: Is my volume not adequate?

18 MR. HOLMAN: If you could try increasing your volume a
19 little bit.

20 MR. WEIMER: I'm not sure how to do that but I -- I'll
21 try it again.

22 So far I understood that the California
23 requirement was for up to one year but it could extend
24 to three years, they were looking at that. Doesn't
25 every utility, say even in the northwest, have some
26 kind of reserve margin requirement that it has to

1 (audio drops)?

2 MR. HOLMAN: I think there's a good analogy to what we
3 talked about earlier, which is the integrated resource
4 planning process being separate and distinct from the
5 operational timeframe. So not only in California is
6 there an integrated resource planning process that
7 goes out many years, but also in other states and
8 other jurisdictions there is an integrated resource
9 planning approach. The resource adequacy program in
10 California and what we often see in other regions is
11 in that shorter term timeframe that after the
12 integrated resource plan has taken place and the
13 applicable entities have executed on it, it's a
14 program that attempts to ensure that on kind of that
15 year ahead, sometimes, you know, up to three years
16 ahead timeframe there is enough capacity committed to
17 meet load with the planning reserve margins.

18 So it operates more in that operational
19 timeframe of one to three year space and it operates
20 in that space after the integrated resource planning
21 process has taken place and been executed.

22 MR. WEIMER: Okay, it sounds like a bit of a belt
23 (inaudible) suspenders. But anyway, I had a question
24 was, where in the TPA document that we have does it
25 show that limitation to just the operating time
26 horizon? Do you know offhand where I could find that

1 in the document, the TPA?

2 MS. MATTHEWS: So the TPA lays out the mechanisms for the
3 transfer price and how that transfer price is
4 occurring between the two companies as they take
5 place. And so in the later part of the discussions
6 and presentations that I'll make later we'll go into
7 that in detail about what that transfer price is and
8 how it's executed as those imports and exports occur.

9 MR. WEIMER: I'm not sure that quite answers my question.
10 I was just wondering how (audio drops) confined to a
11 (audio drops) three year period?

12 MS. MATTHEWS: The transfer pricing agreement doesn't
13 need to have that. What the one to three year limit
14 is my accountability within the BC Hydro organization.
15 So perhaps your question is actually more getting into
16 the overall governance organization structure of BC
17 Hydro and between BC Hydro and Powerex. But I think
18 if you want to explore that more, perhaps ask an IR on
19 it, because I think we have addressed the question as
20 we can here.

21 **Proceeding Time 10:58 a.m. T23**

22 MR. WEIMER: Okay. I guess one of David's questions
23 earlier was that -- referring to the fact that Powerex
24 has commitments that go out 11 years, that it seems to
25 have been able to make those commitments without this
26 TPA. So I would presume then that means Powerex has

1 some exposure or risk out to 11 years because the TPA
2 wasn't in place, or will this TPA now absolve it of
3 any risk in the future?

4 MR. HOLMAN: I think there's two different things there
5 that you're touching on and I'm only going to touch on
6 it at a high level from Powerex's perspective and I
7 think any follow-up really should be an information
8 request to BC Hydro. But the first thing that Heather
9 and I have both discussed is -- as has Chris, is that
10 the transfer pricing agreement is in the operational
11 timeframe. It is not a supply resource, as I
12 understand it, in the IRP or demand in the IRP, it's
13 the outcome of that. Do we have surplus energy as a
14 result of operational conditions, a deficit, and how
15 much residual capability do we have? So that's kind
16 of piece one.

17 Piece two is Powerex is active in western
18 wholesale electricity markets, purchasing and selling
19 wholesale electricity to and from the BC Hydro system
20 and also entirely within the Western U.S., generating
21 net income that it returns to BC Hydro that ultimately
22 benefits ratepayers. That includes, as an example,
23 Powerex making investments in long-term transmission
24 rights to ensure that we can maximize our net income,
25 sell BC Hydro surplus, meet deficits, and those
26 transmission agreements, just as an example, can

1 extend out in time as transmission rights but get
2 utilized in the operational timeframe as physical
3 deliveries occur.

4 I think that's as far as we want to go
5 today. Again, I would suggest anything further is
6 perhaps best to an information request submitted to BC
7 Hydro.

8 MR. WEIMER: Okay.

9 MR. MacDOUGALL: Okay, thank you, James.

10 Tom, you have your hand up.

11 MR. HACKNEY: Yes. The Bill 17 defines a Clean Energy
12 Project. Can you reflect a bit on how that affects
13 Powerex's trading activities and whether the clean
14 energy definition that would be created if in the
15 future this legislation comes back, how it would get
16 recognized in the region and if that would be -- how
17 that would all work?

18 MR. MacDOUGALL: I think right now, because that
19 legislation has not passed, and in fact we don't have
20 a government as of yesterday, that would be a
21 hypothetical, we're going to have to wait and see how
22 that develops and I don't think we can answer that
23 now.

24 Now, I don't see any other hands raised.
25 So shall we switch over to Heather, then? Let me just
26 get the camera.

1 **Proceeding Time 11:03 a.m. T24**

2 **PRESENTATION BY MS. MATTHEWS:**

3 MS. MATTHEWS: Good morning, my name's Heather Matthews
4 and I'm the Director of Generation System Operations
5 at BC Hydro. And Chris spoke earlier about what my
6 group does, but really the function of the group is
7 that within the operational timeframe, which we just
8 spent some time on, I need to make sure that we have
9 enough generation on to meet our load in every given
10 hour of the day. And so it's my group that really
11 implements the transfer pricing agreement with
12 Powerex.

13 So in this first part of the presentation
14 or this section that I'm going to talk to you, I'm
15 going to talk to you about the challenges with the
16 2003 TPA.

17 So first, the TPA, the 2003 TPA, relies on
18 a one-day-at-a-time allocation and this is an after
19 the fact allocation. Now, in each hour of the day we
20 either have net imports and exports and these would be
21 either allocated to BC Hydro – and we used to call
22 these domestic purchases or sales – and that would be
23 for when BC Hydro is selling or when we're needing to
24 import to meet our deficits. Or they would be
25 allocated to Powerex and under their responsibility
26 for trade.

1 Now, I spoke at length in the revenue
2 requirements process about how this allocation was
3 done in terms of that BC Hydro, so me and my group,
4 would be setting threshold purchase prices if we
5 wanted to import or threshold sales prices to export.
6 And this is described in section 4.1.3 of the
7 application. But if we were, let's say, had a
8 threshold sales price set at, let's say, \$30 per
9 megawatt hour and the Mid-C price was at 40 megawatt
10 hours per hour, in that hour when there's sales going
11 those exports would then be allocated to BC Hydro.
12 And then if the Mid-C price was less than that \$30,
13 assuming that's our threshold sales price, then they
14 would be allocated to Powerex.

15 So this is the mechanism that BC Hydro had
16 to sell our surplus or purchase to meet our deficit.
17 And it was really the only mechanism we had. So if,
18 like in 2018, we needed to buy larger volumes, then it
19 would mean increasing our threshold purchase price.
20 Likewise, if we have more volume that we're needing to
21 sell then we would be decreasing that price so that we
22 would be selling more.

23 So this allocation mechanism, together with
24 the day-ahead price index, created what we call
25 transfer price risk. And Chris talked a little bit
26 about this in his presentation, and there's really two

1 parts to this risk. And it's that we don't know,
2 Powerex doesn't and BC Hydro does know, who that
3 import or export is going to be allocated to until
4 after the fact and as a result also doesn't know the
5 price that the import or export would be charged at.

6 And so this transfer price risk is
7 described in section 2.5.1 of the application in a lot
8 more detail. But the overall result of this transfer
9 price risk is that it discouraged Powerex from making
10 forward sales so we couldn't sell BC Hydro's surplus
11 energy in the forward market. Likewise, it
12 discouraged the ability to buy in the forward market
13 to meet BC Hydro's energy deficits and it also
14 discouraged Powerex's ability to use the residual
15 system capability of the system for trade purposes.
16 And I'll be speaking more about what the residual
17 system capability is later on.

18 So the first challenge is the declining
19 liquidity in the day-ahead market. And this was an
20 issue that was discussed in the 2018 and 2019 letter
21 agreement (audio drops). These graphs are the same
22 ones that were shown there and I'm going to walk
23 through them in a bit more detail to explain what
24 these are.

25 **Proceeding Time 11:08 a.m. T25**

26 So, hopefully I'll use the mouse here as a

1 pointer, but the top graph is for peak load hours.
2 And so as Mark said earlier, this is the 6:00 A.M. to
3 10:00 P.M. on Monday to Saturday. And the bottom
4 graph is for off-peak hours.

5 Now, the horizontal axis here is time, and
6 it goes from 2011 to 2018. Now these graphs are
7 actually from public information that Bonneville Power
8 has published, and so each bar actually represents one
9 quarter. Now, since it's Bonneville's graph, they
10 have also based the quarters on their fiscal year, so
11 the first one is actually -- and their fiscal year
12 starts in August 1. So the first start of this graph
13 is actually 2011, August 1, through to the end of
14 2018.

15 So, on the vertical graph, what this shows
16 is the daily average volumes, and it's in megawatt
17 hours per day. And there was some confusion in the
18 2018 letter agreement proceedings about this data and
19 actually what it meant. But if you wanted to know,
20 let's say the volume of transactions in 2018 for on-
21 peak, on-peak, so this first figure, what you do is
22 you take the average of these three, four quarters,
23 and just eyeballing it, that's about 30, maybe
24 slightly under 30 gigawatt hours today, per day, and
25 then you multiply that by the number of high load
26 hours in the year. So what that turns into is that

1 it's about 9,000 gigawatt hours of trading volume in
2 those peak hours for that year.

3 Now, the main conclusion, and why we are
4 showing these graphs, is to show the decline over
5 time. So you can see that both for the peak and for
6 the off-peak there has been a decline over time. And
7 that has been one of the challenges that we are
8 facing.

9 Now, as well as the decline over time,
10 there is also a lot of variability within -- about how
11 much is actually available on any given day. So what
12 this graph shows, it's a narrowed in version of just a
13 couple months. So it shows from July 2018 to
14 September, and it's showing daily numbers. And you
15 can see this line here, is the average for that
16 period. And how it turns out is that there's actually
17 60 percent of the days that are below getting the
18 average transactions. And what this really means is
19 that if BC Hydro is needing to move volume, if we have
20 a lot of surplus, then we don't know in any given day
21 how much energy is going to be able to move. And
22 let's say like this summer when we were actually had a
23 lot of water, and needing to move it to be avoiding
24 spill, having some certainty in being able to know how
25 much volume can be moved and not wait for the day-
26 ahead timeframe really helps in terms of getting the

1 volumes.

2 So, this is one thing the new TPA helps
3 overcome, and we will come to that in terms of how
4 later on here.

5 So, the second challenge is that our system
6 has changed actually a lot since 2003, and as a result
7 of that there is a potential in any given year for
8 greater exports. Now this is because the system, the
9 non-dispatchable generation has increased, and so I
10 mean really what had happened over the 2000s is that
11 Burrard was a dispatchable resource, and it has been
12 replaced with a lot of non-dispatchable resources.

13 And I talked a bit about this again in the
14 revenue requirements for our variability has been
15 increasing. And we used to think of the system as
16 having a plus or minus 5,000 gigawatt hours a year,
17 that now (inaudible) be more like plus or minus 7,000
18 gigawatt hours a year. And there might be some
19 uncertainty that we are still not capturing in those
20 numbers.

21 **Proceeding Time 11:13 a.m. T26**

22 Then the third challenge, and this is
23 something that Mark has already spoken to, it's that
24 some of the best opportunities are in the forward
25 markets. And he's talked already about this, that
26 this is really driven by the resources adequacy and

1 the environmental policy objectives. And so I'm not
2 going to go into that again, but this premium in the
3 forward markets, that applies to both, you know, when
4 BC Hydro is trying to sell our surplus, and then also
5 when Powerex is using the residual system capability
6 to make trades and trade revenue.

7 Now, the 2020 TPA addresses these
8 challenges so that it's better for ratepayers. And
9 one of the main benefits that I see is that now what
10 BC Hydro can do, and this is what my group does, is
11 that we can stipulate the volumes of imports and
12 exports needed over different periods. And this is
13 what's called a specified quantity request and its
14 section or its clause is 4.5 in the agreement. But
15 what this really does is it provides better certainty
16 that if we have deficit that we'll be able to import,
17 and that when we have surplus that we'll be able to
18 move those volumes.

19 And this, so this is especially important
20 when we have those large volumes, such as in 2018 when
21 we had the letter agreement. And really, though, this
22 is an improvement over the letter agreement and the
23 new TPA replaces the need for those letter agreements.
24 And one thing, that it's similar in that it allows us
25 to purchase -- or it allows to make sure we can have
26 imports for deficits, meet them in the forward market,

1 and obtain those volumes. But what it also enables us
2 to do is then sell the surplus in those forward
3 markets. And this has actually been – and I alluded
4 to this already – actually really important for this
5 year. This year has turned quite wet across the
6 summer period and it has been extremely useful, the
7 new TPA, for moving the volumes in the summer.

8 The other advantage of the new TPA compared
9 to the letter agreements is that it's easy to adjust
10 these requirements as the system conditions change.
11 And 2019 was an example of that where we actually
12 started very dry and we used the 2019 letter agreement
13 to be making forward purchases. Then it got -- later
14 in the summer, in August it turned quite wet and
15 across to fall and we were lucky at that time that we
16 were able to cancel those transactions. But under the
17 new TPA it allows us to be changing these specified
18 quantities as the system evolves, and to me that's
19 what's -- it's the real benefit and it makes it a lot
20 more dynamic and easier to adjust than the letter
21 agreements.

22 So the other thing that the new TPA, the
23 2020 TPA, also does is it addresses the transfer price
24 risk that was in the 2003 TPA and it does this by
25 removing the one-day-at-a-time allocation. And so
26 this now means that the TPA unlocks really those

1 forward markets and so that the surplus can be bought
2 or sold in the forward markets, the deficits can be
3 bought or sold in the forward markets by Powerex, and
4 it also allows Powerex to be doing the same with the
5 residual capability. Now, that doesn't mean that
6 there can't be and there will definitely continue to
7 be both day-ahead and real-time markets that there's
8 transactions in, it just removes and unlocks that
9 potential.

10 Now, that is the end of this section, so
11 I'll stop for questions there. All right, let us see
12 if we can figure out the --

13 (inaudible)

14 MS. MATTHEWS: So, Heather, if there's any questions?

15 MS. REIS: We do have a question from Thomas Hackney.

16 MS. MATTHEWS: Thanks. Thomas, please go ahead.

17 MR. HACKNEY: Hello. Is there a simple way to describe
18 where the residual system can (audio drops) stop and
19 the surplus deficits start?

20 **Proceeding Time 11:19 a.m. T27**

21 MS. MATTHEWS: There's a couple slides later on when
22 I'm going to talk more about the residual (audio
23 drops) so I think that will help answer that question
24 then. And I might leave that until when I get there
25 in the presentation and try to address it.

26 MR. HACKNEY: Okay, thank you. That's all I have.

1 MR. MacDOUGALL: James, your hand is still up. Is that
2 from last time, or do you have a new question?

3 MR. WEIMER: Sorry, I just probably forgot how to turn
4 it off.

5 MR. MacDOUGALL: Okay, not a problem. Just click on it
6 again and it will go away.

7 Are there any other questions?

8 MR. SANDVE: Okay, so with that, we had planned to
9 break for lunch from 11:45 to 12:45. We are running
10 about 25 minutes ahead of that. So what I'd suggest
11 is that we'll break for lunch now and come back at
12 12:30. All right, we will see everybody back at
13 12:30, thanks very much.

14 **(PROCEEDINGS ADJOURNED AT 11:20 A.M.)**

15 **(PROCEEDINGS RESUMED AT 12:30 P.M.)**

T28

16 [TECHNICAL MALFUNCTION - AUDIO UNAVAILABLE]

17 MS. MATTHEWS: -- to give everybody a chance to
18 understand that -- so first, non-flexible imports.
19 And we were asked for a typical example. So non-
20 flexible imports, or an example is when it is in the
21 middle of winter, let's say it's on the Friday, and on
22 Monday it's forecast to get really cold and be at
23 peak. So three days ahead like that, there's a lot of
24 unknown about how big that peak might be. And
25 depending on what outages we might have, we have got
26 some of the units forced out, we may be concerned that

1 we don't have enough capacity to be making that load.
2 And enough diversity in that capacity to handle
3 things. So this is a situation where my team, BC
4 Hydro might ask Powerex to make an import. And really
5 what this import is about is capacity, it's about
6 meeting that winter peak demand. So the timing of it
7 is not flexible. So this is one of the examples, and
8 probably the main example of a non-flexible import.

9 Now what I am going to do is step through
10 the 2020 TPA and the 2003 TPA and compare them in
11 terms of what is the same and what is different. And
12 although some of these terms weren't used in the 2003
13 TPA, the concept and what actually happened, like that
14 example that I described, are the same.

15 So, in these situations BC Hydro, and
16 that's for my team, would stipulate what the needs are
17 for the coming up day or for the next day. Like in
18 the example I gave, with it being Monday, if we are
19 making the request as Mark talked about earlier,
20 that's trading on Friday morning, and so this is
21 really the same. And the way that we do it is the
22 same under the (inaudible) 2003, and the 2020 TPA.

23 Now, for the price of that non-flexible
24 import under the 2020 TPA, it's based on the Mid-C
25 day-ahead index price. And that's the same as it was
26 under the 2003 TPA.

Proceeding Time 12:37 p.m. T29

1
2 Now, under the 2003 TPA what happens is if
3 we may or may not have had a threshold price set for
4 energy but when we're making a request like this it's
5 set at the maximum for the desired quantity.

6 Now, the volume of this import does not go
7 through the transfer volume account, so it does not
8 increase the balance that's in that account. And
9 likewise on the 2003 TPA the volume did not increase
10 the trade account balance. And so under the 2003 it's
11 only Powerex's purchases or sales for the trade that
12 were going through the trade account. That's
13 different in the 2020 TPA and I'm going to be
14 explaining the differences and changes between the
15 transfer volume account and what was the trade
16 account. And you can see that we've deliberately
17 changed the name because it is different, what it does
18 it different, even though some of the concepts are
19 similar.

20 Now, the other point is that in the 2003
21 TPA we did not explicitly call these non-flexible
22 imports. Where it would show up is the market
23 electricity purchase, that's in the RRA when we show
24 our imports, it would have shown up there. And so we
25 didn't differentiate between when a purchase was made
26 for energy versus when it was made for capacity in

1 this way. Now, in many ways the 2020 TPA is actually
2 more transparent because we are breaking it up into
3 these different non-flexible imports.

4 So now I'll go to non-flexible exports.
5 And this concept is similar but, imports and exports,
6 there's some differences. So an example of this is in
7 the springtime when the minimum generation on the BC
8 Hydro system is greater than load. And I talked about
9 this quite a bit in the RRA, in that what the minimum
10 generation is is that we've got the BC Hydro system
11 backed off as much as we can but the generation being
12 produced is still greater than the load. And so there
13 are minimum fish constraints, like for example out of
14 Revelstoke, that there has to be a certain amount of
15 minimum generation on. And in the springtime when
16 there's lots of inflow coming both to the IPPs and BC
17 Hydro's facilities that are run-of-river, don't have
18 much storage, we get into this situation. And we've
19 often -- and I think in the RRA I would sometimes call
20 those forced exports because we can't store them,
21 we're already backed off as much as we can, and it has
22 to be generated. So under these situations there's no
23 ability to utilize the storage to decide if we export.
24 We're either going to be exporting it or spilling it,
25 that timing is not flexible and so hence why it's
26 called the non-flexible export.

1 account.

2 Similarly, this term, non-flexible exports,
3 is new, it's not the term that we have used before,
4 but the concept is the same and really what in the RRA
5 and in other places we have probably called it as
6 forced exports.

7 So now moving on to the use of the residual
8 -- of the residual system capacity, and I am going to
9 come back later and have another slide on residual
10 system capacity, that I'll talk about how it's
11 calculated. But this is where of course imports can
12 be made in one period, to be offset by exports at
13 another time period, and the differential between
14 those prices is used to generate trade income. So
15 that's the main example of what residual system
16 capability is used for.

17 Now, for both the 2020 TPA and the 2003
18 TPA, this is Powerex's activity, it's their imports
19 and exports, but it's BC Hydro who is always
20 responsible for defining what the system can and can't
21 do.

22 Now, in the 2003 TPA, these imports would
23 increase the trade account balance. Similarly in the
24 2020 TPA, these imports increase the transfer volume
25 account. And likewise, exports decrease the trade
26 account, and exports now decrease the transfer volume

1 balance.

2 Now, for pricing, and the pricing actually
3 switches when the volume account or the trade account
4 is positive, so for the case where it's positive, the
5 exports are priced using the weighted average price of
6 the volume account. And then imports are priced at
7 the applicable day-ahead mid-index price. And the
8 vice versa happens when those accounts are negative.

9 Now, how this works in the transfer price
10 agreement is all described in section 5.1.4. Again if
11 this is the first time you are seeing this, it can be
12 a bit to take in, and you need to take some time
13 almost thinking it through.

14 So I am going to give a summary so far,
15 because generally everything that I've said so far is
16 really fairly similar between the 2003 and the 2020
17 TPA. So as a summary, we've got the non-flexible
18 exports and imports, and these are priced at the Mid-C
19 daily index. We've got the non-flexible exports,
20 which are also priced at the Mid-C index, and then the
21 use of the residual system capacity, and this is to be
22 generating trade income, the imports and exports will
23 cause the change in the volume account to change, and
24 when that volume account is positive, the exports are
25 priced at the weighted average price and the imports
26 are priced at the applicable Mid-C index.

1 I had mentioned this earlier, if we needed to achieve
2 more, the threshold purchase price would have to be
3 increased.

4 Now, the transfer price for those imports
5 was based on the applicable Mid-C index price on that
6 day. Volumes to manage the energy deficits did not go
7 through the trade accounts and, again, back in 2003
8 the trade account was only used for Powerex activity
9 for trade, not what we called the domestic imports or
10 exports. And it was this combination of the threshold
11 purchase price and the Mid-C index price that would
12 really be jointly determining which hours of which
13 days those imports were then allocated to domestic.
14 And as we talked about earlier, this creates the
15 transfer price risk for Powerex because that's only
16 occurring in the day-ahead timeframe.

17 The concepts for flexible exports are very
18 similar to the concepts on the flexible imports. So
19 similarly, the exports are when BC Hydro has a surplus
20 energy and we're needing to export that energy, it's
21 more than what we need to serve load, but exactly when
22 we make those exports is -- there's flexibility. And,
23 again, the flexibility comes from the large reservoirs
24 in the system, Columbia and Peace, that can help give
25 a choice and flexibility for when to actually make
26 those exports.

1 So under the 2003 TPA these were not
2 explicitly called flexible exports. We would set a
3 threshold sale price that was set at a level to
4 achieve the amount of total exports over time at the
5 expected market price. And it's the transfer price
6 for the exports and the -- sorry, it's the threshold
7 price that is set and the day-ahead price that then
8 determines when those exports are allocated to
9 domestic. Now, the volumes of these exports, again,
10 did not go into the trade account balance. And it's
11 the threshold price and the mid-index price that is
12 determined, it's actually which days and hours are
13 allocated to domestic and, again, this creates the
14 transfer price risk to Powerex until we're into the
15 day-ahead market time.

16 Now, there were flexible imports and
17 exports under the 2003 TPA, they just weren't called
18 that. So what has really changed in the 2020 TPA is
19 that these components that were part of the 2003 TPA
20 have been eliminated and those things that have been
21 eliminated is this one day at a time approach and what
22 it means is that I'm no longer setting threshold
23 purchase prices and threshold sale prices, and so the
24 transfer price is no longer based on the day-ahead
25 Mid-C price. That's the things that are changed. Now
26 instead what happens is that the TPA applies an annual

1 pricing approach to the surplus or deficit.

2 So first I'll talk about the annual
3 flexible surplus. It is added to the transfer volume
4 account balance at the end of the fiscal year. And
5 now at the end of the fiscal year, we know exactly
6 what it is, because it's occurred, when it goes into
7 the account. And then the price that it goes into the
8 account at is based on the annual Mid-C index times a
9 multiplier, and I'll come back and talk about the
10 multipliers later. This then adjusts both the volume
11 that's in the account and the weighted average price
12 that's in the account.

13 When there's a deficit that BC Hydro has,
14 it acts in the same way. So the deficit is subtracted
15 from the volume account at the end of the fiscal year.
16 It's priced at the annual Mid-C index price times the
17 multiplier and, again, that adjusts with the volume in
18 the account and the price that's in the account.

19 **Proceeding Time 12:52 p.m. T32**

20 So one thing with this is that when we --
21 thinking about an annual surplus, what it's really
22 doing is that from an economic perspective BC Hydro is
23 still selling our surplus energy to Powerex but it's
24 being sold at that annual basis and at the annual
25 price. And so what this really does then is it does
26 ensure that BC Hydro is still financially accountable

1 for the surplus or for our deficit.

2 Now, the actual payment under the 2020 TPA
3 occurs when the exports occur. So when the export
4 occurs, and for this example it's given when the
5 transfer volume account is positive, it will occur at
6 the weighted average price of that volume account.
7 And this is going to apply to both what is BC Hydro's
8 surplus that is in the trade -- or in the transfer
9 volume account and to the use for Powerex of the
10 residual system capability to generate trade income.

11 And similarly when it's an import, and in
12 this case the example is when the volume account is
13 negative, it occurs the price is at the weighted
14 average price. And again this applies both to BC
15 Hydro's deficit or imports that are being made for the
16 deficit and using the residual system capability for
17 trade income. Now, again, these details are in
18 section 5.1.4 of the application.

19 Now, in this slide I'm going to summarize
20 graphically the trade account and the transfer volume
21 account how and what they are depicting. So under the
22 2003 TPA the trade account was used for the residual
23 system capability. So if there was an import that was
24 allocated to Powerex, it would come into an account.
25 And an export that was allocated to Powerex would come
26 out of the trade account. And then the price of that

1 transaction would be based on the weighted -- well,
2 depending on whether it's positive or negative, the
3 weighted average cost or the Mid-C price.

4 Now, for 2020 the transfer volume account,
5 similar concept but it is different. So it's used for
6 the annual flexible surplus and deficit. So as I
7 mentioned before, at the end of the fiscal year the
8 annual surplus or deficit gets put into the account at
9 the mid-c average price times the multiplier. Now,
10 whenever there's a flexible -- and that's this line,
11 blue line, going in.

12 Now, whenever there's a flexible import
13 that is also going into the account and a flexible
14 export is coming out of the account. So what is
15 different in this is that the, I call it the energy
16 that is in the account or the volume is now a blend
17 between what we used to call domestic versus what we
18 call this trade. And so once that's happened there's
19 no differential between an import being for Powerex or
20 being for BC Hydro.

21 And this actually goes back to the question
22 from the panel of why we changed the terminology. So
23 we used to have the terminology of surplus sales or
24 market electricity purchases or net purchases and
25 sales from Powerex, that's now gone. Because once
26 it's in here we can no longer differentiate -- we're

1 no longer differentiating what is the sale for Powerex
2 or for BC Hydro, it's just a system export and a
3 system import.

4 Now, I'm going to stop there for questions.
5 That's the end of this section, which is really just
6 all about the flexible imports, flexible exports, non-
7 flexible imports and exports, and how all that comes
8 together with the transfer volume account.

9 So I will open it up to questions.

10 **Proceeding Time 12:57 p.m. T33**

11 MS. BIENERT: Kristine Bienert from the BCUC, can I ask
12 some questions if possible?

13 MS. MATTHEWS: Yes. Sorry, can you repeat who it was
14 again? It was a bit muddled when you started to talk?

15 MS. BIENERT: Sounds good. It is Kristine from the
16 B.C. Utilities Commission.

17 MS. MATTHEWS: Okay, thanks.

18 MS. BIENERT: Okay, some of these questions might be
19 basic, but I would just like to confirm a few things.
20 First of all, can you talk a little bit about what
21 exactly is meant by allocated to domestic? And I
22 guess I just would like to better understand that
23 there is a mechanism that is (audio drops) energy
24 that's going back and forth, but there's also (audio
25 drops) transactions flowing through that same account?
26 Is that correct, in regards to exports?

1 MS. MATTHEWS: Yeah, so under the 2003 TPA, what
2 happened is that BC Hydro had set -- let's talk about
3 imports. So we set a threshold purchase price. And
4 so let's just say that is at \$20 per megawatt hour.
5 If -- and the allocation was after the fact. So at
6 the end of the day, we know how much the net imports
7 or exports are in every given hour.

8 So let's say in one hour that the import is
9 coming in and the Mid-C price was \$15. So because we
10 had a purchase price set at \$20, that import was
11 allocated to what we call domestic and BC Hydro. Now,
12 if that price let's say was \$21, so it was above the
13 price that BC Hydro had set, then it would be
14 allocated to Powerex as a trade. And in that case,
15 under the 2003, it would go into the trade account.

16 Now, the 2020 TPA is quite different,
17 because it blends the two together. So BC Hydro's
18 needs are really around when we have a deficit we need
19 to import to meet that deficit, and when we have a
20 surplus we need to sell that surplus. And instead of
21 doing it one day at a time, by setting a threshold
22 sale purchase price, or sale price or purchase price,
23 that happens annually.

24 MS. BIENERT: Okay, that's helpful, thank you. I've
25 got a few more questions that I wouldn't mind asking
26 if there is time.

1 MS. MATTHEWS: Yes, please go ahead.

2 MS. BIENERT: I would also -- maybe I didn't grasp this
3 from your earlier presentation, but could you speak a
4 little bit about the circumstances within which
5 flexible imports happen?

6 MS. MATTHEWS: Right, so flexible imports, there could
7 be two types of them. So like in 2018, when the BC
8 Hydro needed to import to have enough energy to meet
9 our domestic loads, so that's an example of when a
10 flexible import that BC Hydro needs to make, and it's
11 flexible because the timing of when that import
12 actually occurs, doesn't matter. What mattered was
13 that we imported let's just say 3000 gigawatt hours
14 across a three month period. So it's flexible from
15 when it occurs. Now, that's the part that is about BC
16 Hydro's need.

17 In this diagram here, when I've got the
18 2020 TPA and the flexible import coming in, that can
19 also include what under the 2003 TPA would have been
20 an import for trade for Powerex.

21 So let's just take an example of, let's say
22 in a given year that BC Hydro's surplus deficit is
23 actually right around zero, that we are actually
24 forecasting that you've got exactly what we need.
25 Now, Powerex could still be importing and exporting
26 from the system for trade. So you would still have

1 flexible imports coming in and flexible exports going
2 out. But again, under the 2020 TPA, and this is what
3 is depicted in the diagram there, the domestic versus
4 trade doesn't exist, and it all just gets blended
5 together in this account. And what we have is a
6 flexible import, flexible export.

7 **Proceeding Time 1:02 p.m. T34**

8 MS. BIENERT: Okay, that's very helpful. Can I ask, if
9 it's possible, before we commence our first round of
10 information requests, are we able to get some actual
11 example calculations that demonstrate maybe how things
12 would have worked before and how they'll work under
13 the new agreement to demonstrate on a numeric basis,
14 maybe on a journal entry basis, the difference between
15 (audio drops) look like?

16 MS. MATTHEWS: Yes. So it's probably easiest to ask it
17 in the IR. And I know there was some questions in
18 this try to give an illustrated example, but that's
19 probably easier for us to do in a written form as
20 opposed to walk through numbers. But yes, we can
21 provide an illustrative example.

22 MS. BIENERT: Okay, that would be helpful. I have one
23 last question on this and it's more just a general
24 understanding question. So in your workshop, the
25 activities undertaken, there appears to be instances
26 where BC Hydro employees are making decisions to

1 support trade activities as well as assist them to use
2 BC Hydro's storage access, possibly to allow for
3 maximized profitability and (audio drops) any other
4 agreement that exists that transfers costs from BC
5 Hydro to Powerex for support activities or for asset
6 usage? Or is the TPA here the only agreement that
7 exists that relates to the energy from -- the use of
8 energy and supporting capacity or supporting (audio
9 drops) BC Hydro to make that (audio drops)?

10 MS. MATTHEWS: Yes, so the TPA is the only agreement that
11 is around the transfer for the energy and the costs
12 related to that energy transaction. There isn't -- I
13 mean, we did have the 2018 and '19 letter agreement
14 which were the additional agreements on top of the
15 2003 TPA, but that got cancelled or terminated when
16 the 2020 TPA came into being last April. So there's
17 no other agreement.

18 MS. KRISTINE: Okay. And just to be very clear (audio
19 drops) allocation (audio drops) related to the energy
20 as well, is that correct? So if there was no
21 allocation of those FTE time or assay value of some
22 sort --

23 VOICE: (audio drops)

24 MS. KRISTINE: Okay, thank you.

25 MS. MATTHEWS: Okay, so there is -- I was going to speak
26 to this on a later slide, I'll come back to it a bit,

1 a bit more on the residual capability. And I know
2 there was a question there because there is a clause
3 in the TPA that allows for Powerex to ask for BC Hydro
4 to increase that capability and a mechanism, a
5 provision in the TPA that would allow BC Hydro to, if
6 we did that, for Powerex to pay for it. So that is
7 covered under that provision. That provision was
8 actually similar -- it was in the 2003 TPA and it's
9 also in the 2020 TPA. And that's the mechanism we
10 would use for anything like that.

11 But that's hasn't actually been used, from
12 my knowledge, for a long time, not while I've been the
13 director here. And it's not -- I'll come back and
14 talk to that a little bit later in terms of how we
15 operate, the decisions that I make and how we're
16 interacting with the Powerex team.

17 MR. SANDVE: Chair Mason, I see you have your hand up.
18 Do you want to unmute and ask your question?

19 THE CHAIRPERSON: Yeah, thank you. And you can hear
20 me?

21 MR. MacDOUGALL: Yes, we can.

22 THE CHAIRPERSON: Thanks. Ms. Matthews, thank you for
23 that presentation. That was very informative. I
24 wonder if I could ask you to help me characterize the
25 meaning of a balance in the transfer volume account.
26 And the specific example I'm thinking of is at the end

1 of the year when you've applied your annual flexible
2 surplus, let's say, before going into next year how
3 would you characterize a positive balance in the
4 transfer volume account? For example, is it the total
5 amount of energy that Powerex has available to sell in
6 the following year? Is it the balance that Powerex
7 must or is expected to sell in the following year? Or
8 something completely different? Thanks.

9 **Proceeding Time 1:07 p.m. T35**

10 MS. MATTHEWS: So it is the volume of energy, that is
11 certainly the way to see the volume account. The
12 volume accounts can go up and down throughout the year
13 and that annual amount that is going in just adds to
14 the balance. So perhaps let's say the -- if there had
15 been a number of exports across the year, it may have
16 gone negative. Adding in an annual surplus may have
17 brought that back to positive. So there's not a --
18 there's no explicit requirement for anything to be
19 done in a time period, but both BC Hydro and Powerex
20 would be making the decisions and Powerex's decision
21 about importing and exports based on the economics of
22 deciding that it's best to import or export.

23 Did that address your question?

24 THE CHAIRPERSON: No. And I'm certainly not disputing
25 anything that you said, but I still am not left with a
26 characterization of what the surplus volume in this

1 transfer volume account at a point in time actually
2 means, if anything?

3 MS. MATTHEWS: So I'll maybe try it this way and then
4 we'll see if we can describe (inaudible). It is an
5 energy amount and the energy in there, it is -- I'll
6 say it's tied to our system, our reservoirs, although
7 we don't say that a certain volume account, you know,
8 translates into this reservoir elevation, but there is
9 a physical connection on that because it is a volume
10 of energy that's represented in that account. Any --

11 MR. HOLMAN: I'll try another way, which I like the way
12 Heather characterized it. So it's Mark Holman here.
13 I think of it as Heather described, rather than taking
14 a particular snapshot, at any point in time what is in
15 that account is -- when we first started the TPA we
16 had a small, relatively small balance transferring
17 over from the past TPA that's set forth in the
18 application.

19 But putting that aside for a moment, what's
20 in that account at any point in time, and let's just
21 deal with surpluses, it would be all of the annual
22 surpluses that have occurred so far, plus all of the
23 flexible imports that Powerex brought in, let's say
24 for trade purposes, minus all the exports with exports
25 drawing down that balance that's comprised of the
26 surplus plus the import. So it's an ongoing tracking

1 account where exports draw down surplus energy that's
2 added to the account once per year once the surplus is
3 known, plus flexible imports that may come in for
4 trade, and that's the surplus scenario.

5 So with surpluses it's this ongoing account
6 balance, and as Heather described, the annual flexible
7 surplus continues to be BC Hydro's financial
8 responsibility and it gets priced at the annual price
9 times the multiplier. The flexible imports that occur
10 using residual system capability are Powerex's
11 responsibility. Help?

12 THE CHAIRPERSON: Okay, thanks very much.

13 MR. MacDOUGALL: Okay, I see Melissa, you have your
14 hand up? Melissa Davies?

15 MS. DAVIES: Yeah, thanks. I have two questions,
16 hopefully clarifications. The first is in respect to
17 non-flexible imports.

18 MS. MATTHEWS: Non-flexible imports, okay.

19 MS. DAVIES: Yeah, so when BC Hydro needs capacity.
20 You know, under normal operation I'm assuming there's
21 multiple things that BC Hydro could do to try to
22 either reduce its capacity requirements or purchase
23 imports, and previously setting up price point,
24 wouldn't that provide some sort of signal or ceiling,
25 so if the price is going to be above that, BC Hydro
26 doesn't really want the import? Do I have that

1 correct?

2 **Proceeding Time 1:12 p.m. T36**

3 MS. MATTHEWS: No, not entirely. And this is where we
4 get into energy versus capacity.

5 MS. DAVIES: And I'm just talking capacity, like the
6 non-flexible, like you needed a specific moment.

7 MS. MATTHEWS: Right, so when it's needed, we are not
8 -- like we're not setting a price on that need, we're
9 basing it on what the system needs are. So at the
10 moment and in general, BC Hydro plans its system to
11 have enough capacity. And so that's more the long-
12 term planning part, so that when I get to operate the
13 system in real time, we generally have lots of
14 capacity available. But different things happen on
15 the system with outages, that might mean that we do
16 need to import for capacity.

17 So what we do on this is we are just -- and
18 the other thing about often when we are doing it is
19 when we're coming up to a peak day we are also
20 sometimes looking for a bit of diversity to cover off
21 potential transmission contingencies as well. So, you
22 know, having some coming in on the intertie, having --
23 you know coming from the interior on the BC Hydro
24 system, running Island Generation, those all give us
25 different diversity of that. So, we're really looking
26 at what that need is, and then making the request to

1 Powerex to import that.

2 We wouldn't be -- we're not putting a price
3 on that capacity. Where we do put prices is more
4 related to our energy study. Our energy and our basin
5 prices of our big storage, and that's all related to
6 the energy studies.

7 MS. DAVIES: Okay, so it sounds like with the 2003 TPA
8 there would be a price put on it, whereas now you are
9 more just communicating the need. So I'm just worried
10 that there is no -- kind of like blind adherence to
11 need over what that might actually cost, in the end,
12 the ratepayer?

13 MS. MATTHEWS: Yeah --

14 MS. DAVIES: Where there are other options sometimes
15 rather than just importing.

16 MS. MATTHEWS: Yeah, and I think there is no difference
17 to the 2003, 2020 in terms of a price being put on
18 that. When we are making that request of Powerex, we
19 are also fully aware of, you know, we don't know what
20 the price will be on that day, but we know how it's
21 been. And have a bit of an idea. I mean, I think
22 perhaps, and I know there is a lot of interest from
23 customers about load curtailment, and previously we
24 did have the pilot. So if I use that as an example,
25 that was then another resource that, you know, was
26 decided on in more the planning context that BC Hydro

1 would have. And then in any given time, when we were
2 looking to make those choices, we'd be making those
3 choices based on the costs of making that curtailment,
4 or the cost of the imports, the cost of (inaudible) so
5 nothing changes in that part of it. And again the
6 full -- you know, what is that resource stack that
7 should be available to me in the operation timeframe.
8 That gets set up from the planning perspective. And
9 then what's in operations, I have those, and we are
10 looking at the cost of those.

11 MR. MacDOUGALL: And just -- it's Mike here. When
12 Heather before lunch went through, in the 2003 TPA,
13 when it was non-flexible, there was a price set
14 basically at the maximum with a specified volume.
15 Under the 2020 TPA you basically specify the quantity,
16 and you don't have to set the price. But effectively
17 the price under the 2003 TPA was the maximum price of
18 the market.

19 MS. DAVIES: Okay, what Powerex actually paid for, got
20 that power for would not be higher than that maximum
21 price?

22 MR. MacDOUGALL: It would have been what the Mid-C
23 price was, up to that maximum threshold price that was
24 set.

25 MR. HOLMAN: A good way to think about it is maybe with
26 numbers, is from my perspective when Heather's calling

1 me, as an example she gave, and we're talking about a
2 Friday for Monday and it's cold, and the BC Hydro load
3 is forecast to be 10,000 megawatts over the evening?
4 But because there are forced generation outages on the
5 system, there's only 9500 megawatts of available
6 generation, and so 500 megawatts is needed to serve
7 demand, whether you're under the 2003 or 2020 TPA,
8 we're going out and acquiring and importing that 500
9 megawatts at the day-ahead Mid-C index under both.

10 **Proceeding Time 1:17 p.m. T37**

11 It's not a decision to say, "If it's below this price
12 let's not import it," because it's a capacity need,
13 it's a one-day need based on a capacity need on the
14 system, it's really not about price, it's about what
15 is the need that BC Hydro is communicating to Powerex
16 and we go out and make sure that those imports occur.
17 MS. DAVIES: Yeah. And, I'm sorry, I'm drawing this out.
18 I was trying to get at the distinction because under
19 the 2003 agreement if it costs more than that set
20 price it would go into Powerex trade income, which,
21 you know, was protected by government, which had a
22 ceiling on it, so losses wouldn't go to ratepayers.
23 Whereas if it was under it would go to market
24 purchases which is then a line item on Hydro's income
25 statement. So I was just trying to differentiate
26 between where that cost risk goes to.

1 MS. MATTHEWS: If I can go back -- so in this case it's a
2 non-flexible import and I think you'll see that in
3 both cases the price that BC Hydro pays is the Mid-C
4 price, so there's no change in that.

5 MR. HOLMAN: In both cases it's not going to the trade
6 account or the transfer volume account either. It's
7 both being done for BC Hydro needs at that day-ahead
8 Mid-C index, not under the 2003 TPA allocated to
9 Powerex for trade.

10 MS. DAVIES: Okay. Then, sorry, next question, hopefully
11 a way quicker question. In terms of the weighted
12 average price that is being proposed to kind of
13 eliminate the transfer price risk that Powerex has, is
14 that a lagging indicated or is that set? It just kind
15 of sounds like it's fully being transferred onto BC
16 Hydro then.

17 MS. MATTHEWS: So that account really works similar as
18 the 2003 TPA and 2020. So let's just take a
19 hypothetical example where it starts at zero or it
20 happens to be at zero and then an import is made into
21 it of 10 gigawatt hours at a certain price, let's say
22 \$10. That volume that's in there is now exactly that,
23 it's 10 gigawatt hours and it's at that \$10 price. So
24 the weighted average price is a reflection of -- or
25 the weight average price that's in the account is a
26 reflection of everything that has happened to that

1 point where, you know, transfers have been made in and
2 out of it.

3 Now, what's different under the 2020 TPA,
4 compared to the 2003, is before that would have just
5 been imports and exports for trade, but now at the end
6 of the year that whole annual flexible surplus or
7 deficit gets added in at that price. But it's always
8 a reflection of everything that's happened up to that
9 point.

10 MS. DAVIES: That's just for reporting purposes?

11 MR. HOLMAN: I'm wondering if maybe here we'll maybe try
12 a numeric example like Heather gave. So if you look
13 at on the left under the 2003 TPA, if Powerex for
14 trade purposes imports over time 1,000 gigawatt hours
15 at different day-ahead Mid-C indices for trade and the
16 weighted average price is \$30, then the trade account,
17 if all those imports occurred, would be 1,000 gigawatt
18 hours at \$30.

19 **Proceeding Time 1:22 p.m. T38**

20 Then when Powerex later exports that
21 energy, we would pay BC Hydro the weighted average
22 price of \$30. And that way the imports and exports
23 are not only offsetting in volume, but BC Hydro paid
24 us \$30 when we imported it and charged us \$30 when we
25 re-exported it, that way Powerex is fully financially
26 accountable for those offsetting imports and exports

1 for trade. And the idea would be that hopefully we're
2 buying it in the market at lower prices and selling it
3 in the market at higher prices and generating that
4 income.

5 Under the transfer volume account, if
6 there's no surplus or deficit, the exact same thing
7 would occur, 1,000 gigawatt hours would come in at
8 \$30, and then then we go to export the weighted
9 average price would be 1,000 gigawatt hours at \$30 in
10 that account and we would be charged that for the
11 exports.

12 So the same thing is occurring with the
13 residual system capability, but now on top of that
14 we're bringing -- and let's use the surplus example,
15 we had 1,000 gigawatt hours of trade imports of \$30,
16 if we had 3,000 gigawatt hours of annual surplus,
17 let's say at \$40, then we're going to have a weighted
18 average price in the transfer volume account of 4,000
19 gigawatt hours at 37.50. And when we export all 4,000
20 we will be charged the 37.50 times that 4,000 gigawatt
21 hours and the net outcome of that is that BC Hydro
22 receives from Powerex payment for the surplus at the
23 annual price times the multiplier, and Powerex
24 continues to be accountable for the flexible imports
25 that are offset by flexible exports for trade
26 purposes.

1 And so you maintain the financial
2 accountability, but now, as Heather describes, two
3 things are going into that account, flexible surplus
4 or deficit and flexible imports, and then flexible
5 imports are coming out and the weighted average price
6 is tracking that to maintain that financial
7 accountability.

8 MS. MATTHEWS: And one thing, because I am wondering if
9 your question, because you talked about the reporting,
10 and you might be referring to, like in an RRA, how
11 this is reported and how the numbers look. Because
12 Chris talked about at the start that the categories
13 are different, but we'll -- in the RRA and I think
14 there's an appendix in the application that includes
15 this information, we would still be similarly
16 forecasting basically what the value of the cost of
17 energy is. The TPA is just a mechanism to allow that
18 to happen.

19 And so in the RRA when we're forecasting
20 what the value of, you know, sales exports or imports
21 are, that stays the same -- sorry, it changes. The
22 categories are different, but you'll see that that's
23 where we'll be reporting on the costs of energy like
24 we do now in the RRA.

25 MS. DAVIES: Okay. My question was just a bit more
26 towards that I thought I had read that it was an

1 annual calculation, that average price?

2 MS. MATTHEWS: That's correct. So it's --

3 MS. DAVIES: And clearly in your example, those imports
4 and exports aren't just happening at the end of the
5 year, so there's going to be a transfer price risk
6 kind of assumed by BC Hydro over the course of the
7 year until it's like cleared up at the next time.

8 MS. MATTHEWS: What might help is if we in the IRs give
9 a numbered example, an illustrative example, which was
10 what was requested previously. Because you're right
11 that the imports and exports will be happening all the
12 time, and then the annual amount only goes into the
13 account once a year. But that annual amount will also
14 be being forecast throughout the year.

15 MS. DAVIES: Right, but aren't exports priced at that
16 annual amount as they're happening in real time?

17 MR. HOLMAN: So the exports are priced at the weighted
18 average -- well, depending if the account is negative
19 or positive, the weighted average costs of the
20 account. So, I mean, I'm not sure --

21 **Proceeding Time 1:27 p.m. T39**

22 [inaudible/overlapping speakers]

23 MS. MATTHEWS: Yeah, and I think when we provide an
24 illustrative example with the numbers then that might
25 help.

26 MS. DAVIES: Yeah, that's great. If you could try and

1 clarify in that illustrative example. It just seems
2 to me like there's a little bit of asymmetry there in
3 the price risk between a lagging value to price
4 exports in real time versus an actual market price for
5 imports. So it seems like just a bit of imbalance.

6 MS. MATTHEWS: Okay.

7 MR. SANDVE: I think one area of the application that
8 might be helpful to review is section 5.2. In that
9 section we have a comparative example. It talks about
10 transfer risk and what it looks under the 2003 versus
11 2020.

12 MS. DAVIES: Yeah, that's exactly what I read where I got
13 confused in the first place. So, thank you.

14 MR. SANDVE: Okay, so maybe we'll be able to clarify that
15 further in the information request then. But I think,
16 you know, and some of this goes back to, I think, the
17 original question from Commission Mason. It's really
18 that weighted average price that helps with the risk.
19 Because if you know the volume of energy that's in the
20 transfer volume account or previously the trade
21 account and the weighted average price that that
22 volume of energy is at, that really allows for
23 transactions to occur with that weighted average price
24 being known. So, and I think that speaks to the issue
25 you're bringing up.

26 (audio drops)

1 MS. MATTHEWS: So we notice that there was some other
2 questions here, so we wanted to make sure that we had
3 a chance to address those. I think it's --

4 MR. MacDOUGALL: Tom Hackney had his hand up for a while.
5 He's dropped off, I don't know if he gave up on us.

6 MR. HACKNEY: I think you answered my questions.

7 MR. MacDOUGALL: Okay. Charlene?

8 MS. de BORE: Hello, Charlene de Bore, I'm new with the
9 BCUC staff. I just wanted to start by thanking you
10 for the opportunity to give some additional background
11 on the 2020 TPA.

12 In the context of the high demand for green
13 power in the U.S. you mentioned earlier in your
14 presentation, is there or are there any mechanisms in
15 the 2020 TPA, or elsewhere for that matter, that
16 protect ratepayers or their interests from over
17 exporting? You know, drawing down BC Hydro's energy
18 reserves?

19 MS. MATTHEWS: Yes. So, this is really about the
20 specified quantity request. So BC Hydro still
21 maintains the responsibility and accountability of
22 operating the system and can put constraints on what
23 those imports and exports can be. And over that time
24 period that's done by those specified quantity
25 requests in terms of setting what the limit can be.

26 MS. de BORE: Did the threshold price serve that function

1 in the previous TPA?

2 MS. MATTHEWS: Yeah, so what the threshold price -- I
3 mean yes and no, I would say. Like, BC Hydro always
4 has the ability to be constraining the system. And
5 under the 2003 TPA what the threshold purchase price
6 was, that was only for domestic purchases or sales.
7 So it was meant to -- we wanted to give Powerex the
8 flexibility of buying that energy, but what we were
9 really doing is if we set a purchase price is we're
10 giving an indication of what price we're willing to
11 pay for that energy.

12 So that alone would not mean that it would
13 limit what Powerex would either import or export
14 because they might be doing that for their other trade
15 reasons. But there's limits that BC Hydro can put on
16 the system that essentially, you know, always allow BC
17 Hydro to have control of the system.

18 MS. de BORE: Okay, thank you. And maybe this will be
19 better suited to the IR phase, but can you point me to
20 any of the specific places in the TPA where BC Hydro
21 is given that authority to put those constraints in
22 place or where those constraints are explicitly raised
23 in the TPA?

24 MS. MATTHEWS: Yeah, we'll take it as an IR. I can't
25 remember the exact locations.

26 **Proceeding Time 1:32 p.m. T40**

1 MS. de BORE: Okay, thank you.

2 MR. AUSTIN: David Austin speaking. I'm sorry I don't
3 have a hands up button, so I have to just try and find
4 a spot.

5 The question I have, and maybe it's my lack
6 of understanding, but with respect to what I would
7 call comingling of flexible imports for trade and
8 imports for domestic purposes in the transfer volume
9 account, how at the end of the year, or during the
10 year, can anybody figure out how much electricity BC
11 Hydro is importing purely for domestic purposes?

12 MS. MATTHEWS: Yeah, so what we can show is what the
13 annual deficit or surplus will be. Once those are
14 comingled, we are not splitting out exactly what that
15 is for. Now we do have the distinctions between the
16 flexible import and the non-flexible import, and those
17 have specific meanings. But the concept of like what
18 we used to have as domestic versus trade, has really
19 disappeared within this framework that we have now.

20 MR. AUSTIN: So the answer to the question is no, you
21 won't be able to determine that anymore?

22 MS. MATTHEWS: We won't be breaking out those in any
23 individual transactions of how much is for BC Hydro
24 needs, versus what is for trade, that's correct. But
25 what we do do is that we do have what those annual
26 deficits, or those annual surpluses are, and the non-

1 flex and flex.

2 MR. HOLMAN: Yeah, we still have full separation
3 between the surplus and deficit volumes and value.
4 And it actually uses the actual surplus and deficit at
5 the year end, and that is separate and distinguishable
6 from trade. And there is actually additional
7 transparency in that the 2020 TPA provides separation
8 explicitly of flexible imports from non-flexible
9 imports and flexible exports from non-flexible
10 exports. So not only do you have separation between
11 BC Hydro's financial responsibility of surpluses and
12 deficits and Powerex's for trade, but now you also
13 have the added transparency of flexible versus non-
14 flexible that shows up as we go through the year.

15 MR. AUSTIN: I appreciate that, but it doesn't sound
16 like at the end of the year anybody can point to a
17 number that says for domestic purposes, BC Hydro
18 imported X gigawatt hours of electricity.

19 MR. HOLMAN: Actual.

20 MS. MATTHEWS: Yeah, there will be an actual amount of
21 the imports that come into the system, and likewise
22 actuals of what leaves the system. So we will be
23 reporting on that, and --

24 MR. AUSTIN: Yeah, I appreciate that, but that, the
25 imports can include flexible imports for trade, which
26 have got quite frankly nothing to do with BC Hydro's

1 domestic customers except through -- with respect to
2 their rates. Right now, say for example, you can say
3 in 2018, 2,000 gigawatt hours was imported purely for
4 BC Hydro's domestic customer requirements. And it
5 doesn't sound like you are going to be able to do that
6 in the future. That's my question.

7 MS. MATTHEWS: So the old TPA, the allocation was after
8 the fact, and really that's the same happening in the
9 2020 TPA, and ultimately, I mean BC Hydro's goal, my
10 role and I will come to this in the later presentation
11 is, to maximize the consolidated net revenue of the
12 system. And so I disagree that that's something that
13 ratepayers aren't interested in.

14 MR. AUSTIN: I certainly understand --
15 [inaudible/overlapping speakers]

16 MS. MATTHEWS: The framework under the TPA is
17 different. So I'd completely agree that the framework
18 under the TPA is different, and it's not broken down
19 into this specific import for trade versus domestic.
20 That is a change, yes.

21 **Proceeding Time 1:36 p.m. T41**

22 MR. AUSTIN: My final question is with respect to the
23 slides. There was a reference in many places to the
24 mid-C for the basis of a price and in other words it's
25 an index price. Earlier in the presentations we heard
26 that the volume of trade or the number of transactions

1 or whatever you want to call it is mid-C doesn't cover
2 the full trading in the market anymore, say for
3 example there's the ability to trade directly at
4 California hubs.

5 So my question is does using mid-C as an
6 index price properly reflect prices in the market?
7 And I'll just add to that, let's say for example that
8 there are premiums in terms of price for green or
9 renewable energy in the market, how are those going to
10 be captured in terms of the price index that's going
11 to be used using mid-C?

12 MR. HOLMAN: So you're asking quite a -- I think a
13 couple questions about the market, so maybe I'll take
14 that one. So the first thing to note is that, you
15 know, as described in my slides, the two different
16 timeframes that are kind of the predominant timeframes
17 where volume can be transacted is day-ahead and
18 forward with less volume generally transacted in real-
19 time.

20 So the first point I would say is that
21 although the day-ahead volume and liquidity has
22 declined, it still is an important market and really
23 it's the day-ahead and forward physical markets that
24 are the important markets for accessing liquidity to
25 purchase or sell large volumes, either to meet a
26 deficit, a surplus, or for residual capability. So

1 that's kind of the first thing to make sure that we're
2 clear on.

3 The second part is is that the day-ahead
4 mid-C index is still the best available index for the
5 market value of energy in the Pacific Northwest or
6 adjusted for transmission at the B.C. border. Now,
7 Powerex does transact, as I described, at many
8 different locations across the west, including
9 California, but that is really taking -- when we're
10 doing that from the BC Hydro system to or from, either
11 surplus energy to meet a deficit or for trade
12 purposes, it's taking that and combining that with
13 Powerex's transmission investments to, again, as
14 Heather described, for Powerex to maximize its net
15 income, but to reach the broader goal of maximizing
16 the consolidated value.

17 And so importantly, the transfer price
18 still continues to be based on a mid-C index, which is
19 the right location for the value of the BC Hydro
20 supply, but to the extent we are able to capture
21 premiums in remote markets by combining that with
22 transmission rights that we compete and secure, all of
23 that benefit of course is also returned ultimately
24 back to the ratepayer as trade income BC Hydro uses to
25 reduce rates.

26 MR. AUSTIN: Thank you. Just one follow-up question

1 from that. How does Powerex pay for that investment
2 in transmission in the United States?

3 MR. HOLMAN: I'm not sure I understand the question.

4 MR. AUSTIN: Well, if you're investing in transmission
5 in the United States, it costs money, so the question
6 is does that money come from the parent, BC Hydro, or
7 does Powerex have some sort of capital that it's
8 accumulated over the years so it can invest in that
9 transmission?

10 MR. HOLMAN: I think what I would say at a high level
11 is that Powerex's net income is -- and the trade
12 income is income that is earned after paying BC Hydro
13 for surplus energy, or BC Hydro paying Powerex to meet
14 a deficit and after paying for those transmission
15 rights.

16 **Proceeding Time 1:41 p.m. T42**

17 So the cost of those transmission rights
18 Powerex bears and then needs to recover that and more
19 than that in order to generate income, which it does.

20 MR. AUSTIN: So essentially it just comes out of
21 cashflow, is that correct?

22 MR. HOLMAN: I'm not in the finance department, so
23 perhaps if you have further questions related that are
24 financial in nature, it might be best to put those in
25 an IR to BC Hydro.

26 MR. AUSTIN: Thank you very much.

1 MR. MacDOUGALL: So I don't see any other hands up. If
2 other folks are in the same position as David and
3 can't raise a hand, now would be the time. Otherwise,
4 I think we're on a short break. Oh, Tom, did to you
5 re-raise your hand?

6 MR. HACKNEY: I did, yes. So I earlier asked the
7 question of whether there's a clear simple way to
8 distinguish between a surplus and deficit on the one
9 hand and the residual system capability on the other
10 hand and I wasn't sure if I got the answer to that.
11 And I'm not sure if this is the right place to follow
12 up that.

13 MS. MATTHEWS: Yeah, no, we haven't --

14 MR. HACKNEY: If so, there's the question.

15 MS. MATTHEWS: Yeah, I haven't answered that yet, but in
16 the section coming up after break I will definitely
17 answer that question.

18 MR. HACKNEY: Okay, thank you.

19 MR. SANDVE: Okay, I'm not seeing any other hands so
20 we're actually right one time. It's 1:43 so we'll
21 come back at two o'clock for the final section.

22 **(PROCEEDINGS ADJOURNED AT 1:43 P.M.)**

23 **(PROCEEDINGS RESUMED AT 2:00 P.M.)**

T43/44

24 MS. MATTHEWS: Come back from the break. In this part of
25 part 2 of when you go through TPA terms, I'm going to
26 be discussing some of the specific terms in the TPA

1 and some of these have already been brought up in the
2 last couple sections, but I am going to be addressing
3 some of the specific questions that have been asked,
4 especially about the residual capacity. So this
5 section is not as long and as dense as the other one
6 that I just walked through.

7 So specified quantity requests. So
8 previously I spoke about this as being one of the main
9 benefits of the new 2020 TPA, that I no longer set the
10 threshold purchase and sales prices but instead I can
11 set the specified volumes that then become constraints
12 on the imports or exports that Powerex has to achieve
13 over a different time period. And they can be
14 specified, you know, over the next couple months, over
15 the next six months. It's really being set on what
16 the system needs are in terms of how I and my group
17 will be setting them.

18 And so this mechanism, as I talked about
19 earlier, is really what eliminates the need for the
20 2019 letter agreement. And this is in 4.5, is the
21 clause of the agreement that the specified quantity
22 requests are discussed.

23 And so this point really just reiterates
24 what I've already said. It allows us to set these
25 specific needs over the different time horizons and
26 that this provides BC Hydro a more direct way to

1 achieve the imports and exports that are required by
2 the system.

3 Now, it's still the same, though, that
4 Powerex can now decide, subject to the system
5 constraints. And system constraints are what BC Hydro
6 determines. So we set what those are. So subject to
7 those constraints Powerex can decide which markets to
8 be selling or purchasing into, so that can be the
9 forward, the day-ahead, the real-time and also what
10 hours of the day that those deliveries might be made.
11 And then this provides the best opportunity for
12 selling the surplus, purchasing the domestic imports
13 and also using that residual (audio drops) these
14 specified quantity requests that BC Hydro makes sure
15 that we still set what the system needs.

16 So residual system capacity. This is also
17 being brought up and the questions on it were about
18 how do we determine it and how do we consider requests
19 from Powerex to increase that. So I'm going to start
20 by just defining what it is and get to how to
21 determine it.

22 So it refers to the ability of the BC Hydro
23 system to either purchase electricity products from BC
24 Hydro to Powerex or for BC Hydro to sell. And really
25 it comes down to the ability to back off the system.
26 So we are generating on our system to meet our load

1 and if we back off generating, so now an import is
2 needed to meet that load, that allows an import. And
3 vice versa, if we increase our generation so we have
4 more generation, so that enables the ability to make
5 an export. And we've talked about this, that Powerex
6 uses this residual capability for trade income by
7 making imports in one period and offsetting sales in
8 another period.

9 So how BC Hydro determines the residual
10 capacity, it's through the modeling efforts and the
11 tools that we do. And to answer the question from
12 Tom, it's not like there's one point in time where you
13 can define that it's this up to a certain point and
14 now that's residual. In the RRA I talked a lot about
15 how we planned the system in the operational timeframe
16 and we do that at different time scales and using
17 different tools. So the energy studies is one of
18 those tools, it's looking out across the next three
19 years of what the generation will be from the units or
20 what the import or export requirements are. So we're
21 looking at the three years, we're looking at it one
22 year out, (audio drops) out the next couple months and
23 then within the months we're looking at the two-week
24 period, the next-day period. And it's a continual
25 process and there's different tools that are defining
26 it.

Proceeding Time 2:05 p.m. T45

1
2 And that process throughout that, which is
3 what my team is doing, we are also talking to Powerex,
4 on all those different time frames about what the
5 system conditions are, how they are changing and what
6 it's looking like.

7 So, it's very similar to what I talked
8 about in the RRA, is this continual planning process.
9 And then as part of that, we are constantly
10 communicating with Powerex on that. And we are
11 constantly reupdating those numbers. So it's not one
12 individual spreadsheet that gets given to Powerex that
13 says "this is the excess capability," because we are
14 always looking at all of those different time frames.

15 And then this point just emphasizes what I
16 had already said, it is this ongoing dialogue about
17 the system conditions. And we are also having ongoing
18 dialogue about the market opportunities more broadly.
19 And we are providing and having those discussions
20 about what the outages are on the system, what our
21 loads will be, what the extra capacity there might be
22 on the system, how much energy surplus we might have,
23 how much deficit. And when I speak of surplus and
24 deficit, we talked about this in the RRA as well, it's
25 really surplus is you can think of it -- and this is
26 kind of generalized as how it is, but it's the load

1 minus the inflows to the system. So, it's what's left
2 over after we have met our load. But in the end, the
3 processes for how we determine what is residual system
4 capability (inaudible) 2003 TPA and the 2020 TPA.

5 Now, there is a clause in the agreement,
6 clause 4.3, where Powerex may make a request to BC
7 Hydro to increase the residual capability. And if BC
8 Hydro determines to do this, this section allows that
9 BC Hydro can recover that cost, incremental cost from
10 Powerex.

11 So, as I mentioned previously, that is a
12 term that was also in the 2003 TPA. It's not
13 something that has been used often. I can't actually
14 think of an example of it. But again, this is an
15 enabling agreement. So if there is something that
16 came up that wanted to -- if Powerex wanted Hydro to
17 do something, but Hydro didn't think it was worth the
18 benefit, then potentially Powerex could pay for it.

19 Now, what generally happens though is, as
20 I've discussed, is it this continual dialogue back and
21 forth. And where that's really important is when we
22 are planning our generation outages. So we are always
23 looking at wanting to have as many of those units
24 available in the time periods where market prices
25 might be high so that we can have exports from the
26 system. And so there is this constant dialogue around

1 asset at 1.15 and the deficit is initially set at
2 0.85. And these are generally consistent with the
3 value that was received under the 2003 TPA. We used
4 the historical data to be deriving what these values
5 are.

6 The Wear and Tear Procedure, this was a new
7 clause in the TPA. And what it does, it allows BC
8 Hydro to either charge or to pay Powerex for effects
9 of if the import and export decisions are increasing
10 or decreasing wear and tear on BC Hydro's generating
11 equipment. Now, this is not something that we are
12 using currently, we haven't integrated a price, but it
13 does provide the option to be applied in the future.
14 So there's no plans to do that at the moment, but if
15 BC Hydro was to see that the imports or exports have
16 changed significantly and for some reason those --
17 like they're being turned on and off a lot more and
18 that's creating more start-stops or ramping on our
19 units, then it's a way that we could recover the costs
20 of that wear and tear. And really the main purpose of
21 it is that it would then allow us to provide the
22 correct price signal to Powerex so that they would
23 account for that price in their activity of deciding
24 on those imports and exports.

25 So, again, the principle is that -- and we
26 don't have this in place at the moment in the method,

1 but if we were to set it up the principle would be
2 that it would reflect a fair market value at which the
3 parties would be willing to act at arm's length with,
4 would be willing to transact. And, again, this wear
5 and tear payment is going to be just between the two
6 different companies, so there's no impact on
7 ratepayers, it's really an allocation between the two
8 companies.

9 There was a question from the BCUC panel on
10 decision making under the 2020 TPA and how that
11 affects the RRA. And this is actually my last slide,
12 and so it's really meant to summarize my views on that
13 and talk about the decisions. And so the main thing
14 is that BC Hydro's goal remains the same and it's to
15 maximize the consolidated net revenue from operation.
16 So that's what the function of my group is, is to make
17 sure we have generation to meet load and to make sure
18 that we obtain the most value out of our system that
19 we can taking into account all of our different
20 constraints.

21 So the main thing is that under the 2020
22 TPA, the actual decisions that I make every day don't
23 actually change. It's still the same discussions
24 about what's happening, is inflows, you know,
25 increasing or decreasing? Is a load up or down? Is
26 the market changing? What are the constraints on a

1 system? I talked a lot in the RRA about those drivers
2 and those are the same drivers that are affecting the
3 economics of how we're dispatching the system.

4 But what the TPA does do is it provides
5 better incentives in making these economic decisions
6 and enables Hydro's surplus or deficit to be purchased
7 and sold in those different timeframes as we've talked
8 about. And so in the end what this then does is it
9 enables maximizing the value of the system and that
10 benefit does go to the ratepayers.

11 So I'll stop there for questions. And,
12 Tom, hopefully I did cover your question on the
13 residual capability.

14 MR. MacDOUGALL: I think you must've, since I don't
15 see any hands or -- oh, there we go. I think Charlene
16 beat you to it, Tom, so Charlene first.

17 MS. de BOER: No, I'm happy to yield the floor to Tom
18 first to the discussion earlier in the day.

19 MR. MacDOUGALL: Go ahead, Tom.

20 MR. HACKNEY: I think actually I'm moving on to a
21 different topic, so Charlene can go and if she --

22 MS. de BOER: No, no, I'll yield.

23 MR. HACKNEY: All right. Thank you. So just to
24 confirm my understanding, the distinction between
25 operating and planning does not affect the transfer
26 pricing agreement at all, so if that distinction is

1 changed, it would mean the TPA would not be -- it
2 would remain operative, is that correct?

3 **Proceeding Time 2:16 p.m. T47**

4 MS. MATTHEWS: Yes. So you're correct that when we talk
5 about the operating time horizon and the planning time
6 horizon that that hasn't changed and the TPA isn't
7 impacting that.

8 MR. HACKNEY: Okay, yes, thank you. So, and this
9 question may turn into an IRP question, but does that
10 mean that if BC Hydro were to start using trade to
11 meet some of its longer term requirement that the
12 existing TPA or this 2020 TPA could still remain and
13 function too for that purpose?

14 MS. MATTHEWS: Yes. So the question of, you know, BC
15 Hydro using long-term imports, I think you said, for
16 meeting needs, like that is an IRP type of question
17 and I think that the IRP that's occurring or happening
18 that that would be the place to have that discussion.
19 The TPA would continue regardless.

20 And I guess if there is other questions of
21 that, like, we don't want to get into the IRP kind of
22 territory here. But if there's any further questions
23 on that we could follow up in IRs.

24 MR. HACKNEY: Okay, thank you.

25 MR. MacDOUGALL: Okay, I think Charlene -- sorry, didn't
26 mean to cut you off, Tom

1 MR. HACKNEY: I'm done, thank you.

2 MR. MacDOUGALL: Okay, Charlene, I think you have the
3 floor now.

4 MS. de BORE: Thanks. Just the slide you had on wear and
5 tear triggered a question for me relating to
6 transmission system costs. Because the wear and tear
7 slide focused on generation impacts and the cost to BC
8 Hydro's generation assets. I'm wondering if the TPA
9 includes any provisions for costs associated with BC
10 Hydro's transmission system assets?

11 MS. MATTHEWS: I'm trying to think how it's worded. I
12 think it might just (audio drops) but regardless, we
13 can (audio drops) in terms of certainly that provision
14 was meant to be around start/stops of the unit but I'd
15 have to go back and check the actual language there.
16 In terms of actual transmission costs, we think that
17 might be covered in section 6.2 of the TPA but ask us
18 an IR on it and we'll go look and be able to reply
19 easier to that.

20 MS. de BORE: Okay, sounds good. One or more probably
21 coming your way.

22 MR. MacDOUGALL: Are there any other hands or questions
23 or we'll move into the last section. Seeing none and
24 I'm hearing none.

25 MR. HOLMAN: Thanks, Mike; thanks, Heather. So good
26 afternoon. I just have three slides where I'm going

1 to discuss Powerex's perspective on the 2020 TPA, now
2 that Heather has gone into some of the details. So
3 the first slide is really going to talk about the 2003
4 TPA presented a barrier to forward market transactions
5 that were delivered to or from the systems and really
6 didn't prevent them but discouraged them.

7 **Proceeding Time 2:21 p.m. T48**

8 And so this slide I'm going to use a
9 graphic and it's really going to highlight how
10 Powerex's activity is conducted through a portfolio
11 approach, where physical deliveries come from a
12 variety of supply sources, to a variety of sale
13 opportunities and require transmission rights that we
14 must secure in advance of arranging deliveries,
15 including often having to compete with other wholesale
16 electricity market participants for those transmission
17 rights, in order to ensure that we have the access to
18 move power across the Western Interconnect.

19 So first I am going to talk about forward
20 markets. And of course, remember that we did have I
21 think in the neighbourhood of 2500 distinct
22 transmission paths and 110,000 deliveries. And I'm
23 going to try to back it up and try to put it into
24 categories.

25 So on the supply side, when Powerex is in
26 the forward time frame under the 2003 TPA, we really

1 had two different what I'll call buckets, or sources
2 of supply. One was the Canadian Entitlement, and the
3 other was forward market purchases. So forward market
4 purchases might be where Powerex has gone out and
5 procured Hydro surplus supply in the Pacific
6 Northwest, maybe for a month, or for the summer
7 season. Or we've gone out and contracted for the
8 output of a U.S. wind facility or bought standard
9 wholesale electricity and energy. And of course the
10 Canadian Entitlement is Powerex's contract with the
11 B.C. Government, which is the downstream benefit from
12 the Columbia River Treaty. So those are the two key
13 supply sources where we have supply, and we have some
14 price certainty that we can transact and take that
15 supply, and deliver it to sales opportunities in the
16 forward markets.

17 Now, we often combine that with what is
18 referred to as long-term transmission rights, where
19 Powerex has procured transmission, for example, from
20 the Pacific Northwest to the California border and
21 beyond, or from the Pacific Northwest to the desert
22 southwest, or entirely within regions, or in other
23 directions between the regions. And then sales
24 opportunities are forward market sales. And those
25 could be sales for the balance of the month, for an
26 upcoming month or several months, or maybe for Q3,

1 which is July, August, September, or for a summer
2 season or a winter season.

3 And importantly what you see here, and I'm
4 just drawing the line, is this is generally the
5 portfolio approach that Powerex would apply in those
6 forward markets where we are able to line up
7 purchases, supply sources, with transmission rights,
8 and execute on sales opportunities. So we have long
9 been active in the forward physical markets. We are
10 one of the most active participants in the Western
11 Interconnect.

12 And maybe I will just use an example of
13 what this might look like. So Powerex has secured
14 transmission, as I just mentioned, transmission
15 rights, from the Pacific Northwest to California. So
16 we secure, compete and secure those long-term
17 transmission rights, and we see an opportunity where
18 we can purchase energy, let's say for the upcoming
19 summer season, July, August, September, at \$30 per
20 megawatt hour, from a Hydro supplier with surplus, who
21 is willing to commit that supply to us at \$30 for
22 those three months.

23 We then have a sale opportunity in
24 California, and let's say we have a purchaser in
25 California who is willing to pay \$50 per megawatt
26 hour. So we are able to purchase power at \$30, sell

1 it at \$50, and let's say that the transmission rights
2 that we've procured, the cost of those is \$10 per
3 megawatt hour. Well in that case, we can secure
4 forward supply at \$30, pay \$10 in transmission costs,
5 for a total cost of \$40, and sell that power for \$50
6 per megawatt hour, generating \$10 per megawatt hour in
7 income that ultimately becomes trade income, and is
8 returned to BC Hydro and ratepayers.

9 Now, after we've executed transactions in
10 the forward markets, we get to the day-ahead and real-
11 time markets. And the first thing I want to highlight
12 with that arrow is that those supply sources, those
13 transmission and even sales opportunities, we can also
14 utilize those in the day-ahead and real-time markets.

15 So, for example, the Canadian Entitlement,
16 we may choose to make sales supported by the Canadian
17 Entitlement in the forward market time space or time
18 frame, but we may also have Canadian Entitlement that
19 we choose to support sales in the day-ahead or real-
20 time market. Similarly, long-term transmission
21 rights, we may secure those on a yearly or multi-year
22 basis and not fully utilize those to support forward
23 market sales.

24 **Proceeding Time 2:25 p.m. T49**

25 In fact, we may save a considerable amount of those to
26 use in the day-ahead and real-time markets. So this

1 is the portfolio in the forward markets but remember
2 that these components can also be used in the day-
3 ahead and real-time markets.

4 So now I start bringing in other supply
5 sources. So now once we get to the day-ahead and
6 real-time timeframes under the 2003 TPA we now are
7 aware generally of the transfer price and we can see
8 BC Hydro's forecast surplus energy, trade account
9 exports using the residual system capability, day-
10 ahead market purchases so we may purchase additional
11 energy in the Pacific Northwest, the Desert Southwest,
12 California or anywhere within those regions and we
13 have real-time market purchases. We then can add to
14 that the procurement of short-term transmission rights
15 under the open access competitive framework and we can
16 use that, those different supply sources, together
17 with those long-term and short-term transmission
18 right, to meet the BC Hydro forecast system needs,
19 which again we know the transfer price generally when
20 we get to the day-ahead timeframe. We can use the
21 supply sources to use the residual system capability
22 and import energy that is recorded in the trade
23 account. We can make day-ahead market sales and we
24 can make real-time market sales.

25 So you can see the six different categories
26 of supply sources, the five different categories of

1 sales opportunities and the two different categories
2 of transmission rights with the forward market first
3 taking place and then everything below the dotted line
4 being in the day-ahead and real-time markets.

5 Now, the 2003 TPA unfortunately presented a
6 barrier to forward market transactions, as Heather
7 described, because of that transfer price risk.
8 Powerex would not know whether an export or import
9 from the BC Hydro system was allocated until one day
10 at a time, what the day-ahead mid-C index was for the
11 particular day and hence what the transfer price was
12 until one day at a time. So it was very challenging
13 for Powerex to make sales, for example in California,
14 dependent on either surplus energy or residual system
15 capability because we wouldn't know the transfer price
16 until one day at a time. So coming back to that \$50
17 per megawatt hour market sale, we might forecast when
18 we're making that sale, let's say we're in May and
19 we're making a sale for July, August, September, and
20 we think there's going to be forecast surplus energy
21 and we think it might be a transfer price of \$30 but
22 we don't really know. If we make that sale using our
23 long-term transmission rights reliant on the BC Hydro
24 forecast surplus energy, we may find when we get to
25 each day the transfer price is actually higher than
26 the \$50 minus the \$10 in transmission costs and it

1 actually results in a loss for Powerex. So what would
2 often happen is we would secure forward market
3 purchases in the Northwest even from Hydro suppliers
4 who had similar forecast surplus energy because it did
5 not entail this one day at a time transfer price risk.

6 So the 2003 TPA discouraged Powerex from
7 committing these potential sources and opportunities
8 prior to knowing the applicable transfer price each
9 day. One thing I do want to stress is that it does
10 not mean that Powerex was not transacting in the
11 forward markets making sales or forward market
12 purchases, it just meant that we were more inclined to
13 serve our forward market sales with supply that was
14 supported by the Canadian Entitlement or supplied from
15 forward market purchase under a variety of contracts.

16 Now, when we get to the 2020 TPA this
17 really unlocks forward market opportunities. So there
18 was a slight switch there, where now instead of the
19 trade account it says the transfer volume account.
20 But what you can see happens in now by removing that
21 one day at a time allocation and transfer price risk
22 and we have this transfer volume account, and let's
23 take the scenario where the account is positive, we
24 now know that exports from that account are going to
25 occur at that weighted average price and the price is
26 not going to change dramatically each day depending on

1 who it was allocated, as occurred under the 2003, and
2 what the day-ahead index was on that particular day.
3 And so this unlocks our ability to use the BC Hydro
4 surplus energy, the residual capability as well as
5 forward market purchases in Canadian entitlement to
6 supply forward market sales and we can also use these
7 to support deliveries to meet BC Hydro's system needs
8 and imports using the residual capability.

9 So coming back to our example where we had
10 the \$50 per megawatt sales in the forward markets, \$10
11 in transmission costs, now those two may still occur
12 but instead of purchasing forward energy from surplus
13 hydro in the northwest at \$30 per megawatt hour we
14 could instead decide to rely on forecast surplus
15 energy without that risk of the transfer price risk
16 that occurs one day at a time.

17 **Proceeding Time 2:30 P.M. T50**

18 So the 2020 TPA encourages Powerex now to
19 transact in the best available temporal markets, so
20 now we can use these sources and sink energy back at
21 the BC Hydro system, both to meet needs and using the
22 residual capability forward, day-ahead or real-time.
23 So in the best available temporal markets to sell BC
24 Hydro surplus energy, those would be flexible exports
25 if they were sold out as flexible; purchase to meet BC
26 Hydro system needs, again flexible; and using the

1 residual capability to make offsetting purchases and
2 sales. So the 2020 TPA really unlocks the ability to
3 not just rely on that day-ahead market and to a lesser
4 extent the real-time market, but to also have access
5 to the forward market given the declining liquidity in
6 the day-ahead markets, the increased variability on
7 the BC Hydro system, and the premium prices we are now
8 seeing in forward markets for particular clean
9 renewable products as well as to meet resources
10 adequacy needs.

11 So last slide is the -- from Powerex's
12 perspective, the 2020 TPA better aligns with evolving
13 markets, better enables Powerex to sell BC Hydro
14 surplus energy, to purchase to meet BC Hydro energy
15 deficits, and to maximize trade income using residual
16 system capability. How does it achieve this? By
17 eliminating the transfer price risk, that one day at a
18 time approach inherent in the 2003 TPA, unlocking
19 forward market liquidity and premium prices.

20 I thought it would be helpful to just kind
21 of describe how these line up, and so I went back ten
22 years and said from 2011 and earlier we had the 2003
23 TPA, in 2019 and fiscal 2019 and fiscal 2020 we had
24 the two letter agreements, and for fiscal '21 and
25 beyond the 2020 TPA. And you can see how this lines
26 up with the notable decline in day-ahead liquidity and

1 the expanding forward market opportunities, the 2020
2 TPA, is it really aligning with the evolving wholesale
3 electricity markets.

4 So that's all I had. Any questions?

5 MR. MacDOUGALL: Okay, I don't see any hands up yet.

6 No?

7 MR. SANDVE: Okay, we're not seeing any hands on our
8 side, so I think that wraps things for today. I want
9 to thank everyone, Commissioners, BCUC staff,
10 interveners, all observers for taking the time today
11 to be a part of this workshop. I hope it was helpful
12 in terms of bringing some meaning to the application,
13 helping to explain the 2020 Transfer Pricing
14 Agreement, and answer some clarifying questions before
15 we get into the information requests.

16 Just to review the next steps in the
17 process, as have been set out by the panel,
18 information requests from the BCUC are due into BC
19 Hydro October the 8th, followed by information requests
20 from interveners on October the 15th, and then
21 responses from BC Hydro to those information requests
22 will be due November the 19th

23 So as I said at the beginning, hopefully
24 this workshop was helpful today in terms of providing
25 some context and understanding, but definitely
26 encourage you if you have questions, even if they were

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

asked today, if you've got clarifications or additional details you want to get from those, put them into a written information request and we'll gladly add further details and context in writing through the process that I just set out.

So with that I think we're done for today. Thanks again everyone for the time and I look forward to the information requests later on in October.

(PROCEEDINGS ADJOURNED AT 2:35 P.M.)

I HEREBY CERTIFY THAT THE FORGOING is a true and accurate transcript of the proceedings herein, to the best of my skill and ability.



A.B. Lanigan, Court Reporter

September 22nd, 2020