

**BRITISH COLUMBIA UTILITIES COMMISSION**  
**IN THE MATTER OF THE *UTILITIES COMMISSION ACT***  
**RSBC 1996, CHAPTER 473**

**and**

**FortisBC Energy Inc.**  
**Application for a Certificate of Public Convenience and Necessity**  
**for the Coastal Transmission System Transmission Integrity**  
**Management Capabilities Project**

**Vancouver, B.C.**  
**May 13<sup>th</sup>, 2021**

---

**WEB-BASED WORKSHOP**

---

**BEFORE:**

<b>A.K. Fung, Q.C.,</b>	<b>Panel Chair</b>
<b>D.M. Morton,</b>	<b>Commissioner</b>
<b>C.M. Brewer,</b>	<b>Commissioner</b>

**VOLUME 1**

## APPEARANCES

James M. Coady, Q.C.

Commission Counsel

Christopher R. BYSTROM  
Niall RAND

Counsel for FortisBC Energy Inc. (FEI)

Christopher P. WEAFFER  
Patrick WEAFFER

Counsel for Commercial Energy Consumers  
Association of British Columbia (CEC)

Sam MASON  
Brady RYALL

Residential Consumer Intervenor Association (RCIA)

Leigha WORTH  
Irina MIS

Counsel for British Columbia Old Age Pensioners' Organization, Active  
Support Against Poverty, Disability Alliance of BC, Council of Senior Citizens'  
Organizations of BC and the Tenants Resource and Advisory Centre  
(BCOAPO)

### PARTICIPANTS:

#### FEI PRESENTERS:

Ilva Bevacqua  
Diane Roy  
Ferenc Patakil  
Andrew Doyle  
Ken Oliphant

#### FEI SUPPORT STAFF:

Doyle Sam  
Paul Chernikhowsky  
Aram Khalil-Pour  
Atul Toky  
Bryan Balmer  
Phillip Nidd  
Mike Westlund  
Ammad Farooq  
Karen Bowes  
Janice Joly

#### CEC SUPPORT STAFF:

David Craig  
Janet Rhodes

#### BCUC Staff:

Nicola Simon  
Avery Jones  
Lisa Dang  
David Grohs  
Ivan Lapczak  
Sean Richards  
Jim Coady

**INDEX**

**PAGE**

PRESENTATION BY MS. ROY ..... 8

PRESENTATION BY MR. PATAKI ..... 18

PRESENTATION BY MR. ANDREW DOYLE ..... 28

PRESENTATION BY MR. OLIPHANT ..... 46

PRESENTATION BY MR. ANDREW DOYLE ..... 61

Q&A ..... 78

**VANCOUVER, B.C.**

**May 13<sup>th</sup>, 2021**

**(PROCEEDINGS COMMENCED AT 1:00 P.M.)**

1  
2  
3  
4 MS. BEVACQUA: It is 1 o'clock now, and I believe we  
5 have representatives from all the intervenors, if not  
6 each individual person that registered, so I think we  
7 can get started.

8 I will pass it over to the Commission  
9 panel.

10 THE CHAIRPERSON: Thank you very much, Ms. Bevacqua.

11 Good afternoon everyone. On behalf of the  
12 B.C. Utilities Commission, I welcome you to this web-  
13 based workshop, which is being led by FortisBC Energy  
14 Inc., in respect of this application for a certificate  
15 of public convenience and necessity for approval of  
16 the Coastal transmission system transmission integrity  
17 management capabilities project, rather mouthful,  
18 which was filed on February 11<sup>th</sup>, 2021.

19 Now, this workshop is part of the public  
20 hearing process that the BCUC has established by order  
21 G-74-21 to review this application.

22 My name is Anna Fung, and I'm the Deputy  
23 Chair of the BCUC, and the Chair of the panel that has  
24 been assigned to hear this matter. With me this  
25 afternoon are my two fellow panel members,  
26 Commissioners David Morton, whom I hope has finished

1 his lunch, and Carolann Brewer. As well as our BCUC  
2 legal counsel, Mr. Jim Coady from Boughton Law  
3 Corporation. Along with a number of BCUC staff, and  
4 three representatives from an independent expert  
5 Dynamic Risk Assessments Inc. or Risk Assessment  
6 Systems Inc. whom I will introduce later in my  
7 remarks.

8 The purpose of the workshop today is for  
9 FEI to provide the BCUC and interveners with a better  
10 understanding of the application, and for us to ask  
11 clarifying questions about FEI's presentation. I  
12 remind all of us that there will be opportunity for us  
13 to ask detailed or technical questions in the course  
14 of the IR process following the workshop.

15 By letter of workshop guidance filed as  
16 Exhibit A-4, the BCUC has requested that FEI's  
17 presentation today include a discussion of certain  
18 matters, and they are included in FEI's agenda for the  
19 workshop.

20 I would like to remind all of you now to  
21 mute your microphones, and keep them muted until you  
22 are called upon to speak, and appear via Teams Video.  
23 If you have a question, or a comment that you wish to  
24 make during the workshop, please raise your virtual  
25 hand to speak, so that we can call on you in order.

26 And as we're dealing with technology here,

1 I cannot promise everything will go smoothly without  
2 any hitches. In a worst-case scenario though, if we  
3 lose any parties, I will temporarily adjourn the  
4 proceeding and try and regroup and sort out where to  
5 go from here.

6 I'd like to remind everyone that this  
7 proceeding is being transcribed, and also being  
8 webcast to the public. Please note that no recordings  
9 or rebroadcasts of this proceeding will be permitted,  
10 beyond that required by our Hearing Officers, Mr. Hal  
11 Bemister, and Ms. Roberta Stinson of Allwest Reporting  
12 for transcription purposes. Transcripts of this  
13 particular workshop will be posted to the BCUC website  
14 as soon as they are available.

15 **Proceeding Time 1:03 p.m. T2**

16 Now, a couple words about confidentiality.  
17 As you are aware, while this workshop is limited to  
18 registered interveners who are appearing via the  
19 Microsoft Teams web platform, we cannot guarantee  
20 confidentiality since we do not know who may be  
21 sitting in the same room with you or who may walk by  
22 while we're each online within our homes or offices.

23 I do not anticipate the need for any filing  
24 of exhibits today, including confidential exhibits, in  
25 the course of the workshop. But if necessary we will  
26 deal with that by asking that they be filed with the

1 Commission Secretary after the workshop in accordance  
2 with Part 4 of the BCUC Rules of Practice and  
3 Procedure.

4 **Proceeding Time 1:04 p.m. T3**

5 To assist with the transcription of the  
6 workshop please remember to state your name before you  
7 speak.

8 And I'd like to introduce to you now the  
9 BCUC staff on this proceeding who will be present for  
10 all or part of the workshop today. They are Nicola  
11 Simon as project manager, Avery Jones as lead staff,  
12 along with David Grohs, Ivan Lapczak, Lisa Dang and  
13 Sean Richards.

14 Also attending the workshop today are three  
15 representatives from the independent expert Dynamic  
16 Risk Assessment Systems Inc. and they are Phillip  
17 Nidd, Mike Westlund and Ammad Farooq.

18 Now I would like to call on Ms. Bevacqua  
19 now from FEI who will be facilitating this workshop to  
20 introduce her team who are present.

21 Ms. Bevacqua, over to you, please.

22 MS. BEVACQUA: Thank you, Madam Chair, and good afternoon  
23 everyone. Today we have a presentation from FEI, as  
24 well as FEI's expert JANA Consulting. We expect the  
25 workshop will last most of the afternoon and we do  
26 have a plan to have a break at some point but we'll

1 have to just see how we progress and we'll check in  
2 with the panel.

3 We do encourage participants to use the  
4 video cameras when speaking so we do have the benefit  
5 to see each other. While we do have a designated open  
6 question period at the conclusion of the presentation,  
7 if you have a clarifying question about the material  
8 being presented feel free to raise your virtual hand  
9 or type in the meeting chat and we will periodically  
10 pause to address those questions.

11 Before I go over the agenda for this  
12 afternoon I will just let you know the people from FEI  
13 or on behalf of FEI that we have participating with us  
14 today, some of whom will be presenting.

15 From FEI we have Doyle Sam, Executive Vice  
16 President, Operations and Engineering. Diane Roy,  
17 Vice President, Regulatory Affairs. Doug Slater, Vice  
18 President, External and Indigenous Relations. Paul  
19 Chernikhowsky, Director, Regulatory Projects and  
20 Resource Planning. Ferenc Pataki, Director of  
21 Transmission; and Andrew Doyle, Manager Gas System  
22 Assets for Engineering Services.

23 From JANA Corporation we have Dr. Ken  
24 Oliphant. He's the Executive Vice President and Chief  
25 Technology Officer for JANA.

26 Counsel for FEI from Fasken is Chris

1           Bystrom and his co-counsel Niall Rand.

2                         In addition, we have a number of support  
3           personnel from FEI participating in the meeting and to  
4           the extent that they need to speak during the session  
5           to answer questions they will introduce themselves for  
6           the record at that time.

7                         We'll now turn to the interveners today and  
8           ask that when identified please have one  
9           representative speak up to introduce your  
10          participants.

11                        So we'll start with the Residential  
12          Consumers Intervener Association, or RCIA.

13   MR. MASON:    Thank you, Ms. Bevacqua. Hello, my name is  
14                    Sam Mason. I'm here representing the RCIA. The RCIA  
15                    was formed this past January through an agreement  
16                    between my employer, Midgard Consulting, and the BCUC  
17                    with an mandate to represent residential ratepayers in  
18                    BCUC matters, in particular in relation to public  
19                    proceedings and hearings.

20                        Also representing the RCIA today is Brady  
21                    Ryall or Ryall Engineering. Thank you.

22   MS. BEVACQUA:   Thank you. Now the Commercial Energy  
23                    Consumers Association of B.C. or CEC.

24   MR. C. WEAFFER:   Thank you. Good afternoon. It's Chris  
25                    Weafer, W-E-A-F-E-R, appearing for the Commercial  
26                    Energy Consumers, and with me on the call is Patrick



1           Oliphant from JANA who will go over the quantitative  
2           risk assessment. And then finally, Andrew Doyle will  
3           return to go over project alternatives, the  
4           description, and the approvals sought.

5                        So, depending on the number of clarifying  
6           questions throughout the presentation will determine  
7           the appropriate time for a break, and will determine  
8           whether that's before the open question period or at  
9           some other point.

10                      I will now turn it over to Diane Roy to  
11           start us off. Thank you.

12   **PRESENTATION BY MS. ROY:**

13   MS. ROY:        Thank you, Ilva, and good afternoon to  
14           everyone attending today. I am Diane Roy from  
15           FortisBC and I just would clarify, Doug Slater, I  
16           believe as Ilva mentioned, he was attending today, he  
17           is not in attendance today. Just for the record  
18           there.

19                      We do have a fair bit of information to get  
20           through in our limited time today, and I'm going to be  
21           starting off with the first item that was listed in  
22           the BCUC panel request, Exhibit A-4. If we could just  
23           go to the next slide here.

24                      You can see it here, this was the request,  
25           and just to review what it said in the letter, the  
26           panel asked for a discussion of the estimated

1 cumulative rate impact of the approved -- approval and  
2 completion of all FEI recent and anticipated major  
3 projects, and to separate that estimate according to  
4 the regulatory oversight method, either into projects  
5 requiring BCUC approval, and projects directed by  
6 Order in Council. And then finally to explain whether  
7 FEI has considered staggering or adjusting the timing  
8 of any of these projects.

9 Next slide please.

10 What you see on the slide here is the  
11 information requested by the panel, showing the  
12 cumulative rate impact of these major projects, which  
13 equals 21.5 percent at its peak in 2027. Which in  
14 that year is an incremental 16.3 percent from 2021.  
15 This graph starts with 2021, and it shows that there  
16 is an average increase of 1.4 percent -- Janice, could  
17 you -- thank you. 1.4 percent over the upcoming 10-  
18 year period, shown here, excluding incremental  
19 revenues. The annual rate changes over this same  
20 period are shown with the red line. Now, there is a  
21 lot of information on this slide, but I will keep it  
22 up here while I'm talking, so you'll have some time to  
23 orient yourself.

24 What it shows is that the major projects  
25 that have been filed with the BCUC for approval, so  
26 that is item 1 in Exhibit A-4, those are the top six

1 bars there, when compared to existing 2021 rates, the  
2 cumulative rate impact for those six projects as shown  
3 here, is 16.5 percent in 2027, when they are all in  
4 service and before costs begin to decline.

5 And then the two major projects that were  
6 approved by Order in Council, this consists of three  
7 of the four segments of the Coastal transmission  
8 system, and also the Tilbury Phase 1A project. Both  
9 of these projects were fully in rate base by 2019, and  
10 are shown as the two bottom shaded areas of the graph  
11 in blue and in orange. And when compared to existing  
12 2021 rates, the cumulative rate impact for those two  
13 projects is about five percent.

14 Now, the first thing I've mentioned is that  
15 this graph shows rate impacts against existing 2021  
16 rates. The actual rate impact will depend on the  
17 rates in existence at the time the project comes into  
18 service. Also, what we have provided is the cost of  
19 service only of the projects. We have not included  
20 any offsetting revenues for the projects that support  
21 increased capacity or demand, or for the Tilbury 1A  
22 project, because those revenues cannot be easily  
23 separated, and also because they would vary by year.

24 Further, for the AMI project, which is the  
25 top bar shown there, there are large savings that  
26 occur in later years that aren't shown here, because

1 of the limited time frame included.

2 **Proceeding Time 1:14 p.m. T5**

3 Now, what the panel may notice is missing  
4 from the graph are the two projects approved by Order  
5 in Council that are not yet fully developed or  
6 committed to. And the first one of those is Tilbury  
7 Phase 1B and along with that is the remaining related  
8 segment of the CTS, or Coastal Transmission System  
9 project, which is for the piping between the Tilbury  
10 gate station and the Tilbury facility. And the second  
11 is the Eagle Mountain Gas Pipeline to the Woodfibre  
12 LNG site.

13 Now, for Tilbury 1B, the Order in Council  
14 allows for spending up to \$400 million, which on its  
15 own would result in a rate increase of about 4  
16 percent. But the projected cost, timing and revenues  
17 for that project are not developed to the extent that  
18 it could be included in the slide. The project  
19 remains in development and the timing of project  
20 execution is dependent on developments in the marine  
21 sector, specifically increase market demand for LNG as  
22 a low carbon fuel and the development of other  
23 requisite infrastructure.

24 And then for the Eagle Mountain Gas  
25 Pipeline project it's a similar story. The project is  
26 contingent upon Woodfibre LNG proceeding with their

1 project. And the rates that we will charge Woodfibre  
2 are designed to recover the incremental cost of  
3 service. Now, we would expect both of those projects  
4 to be rate neutral or to have the effect of reducing  
5 rates over their lives.

6 Now, I'm just about to go on to the second  
7 question asked by the panel around adjusting the  
8 timing, but I notice Commissioner Morton has his hand  
9 up. So I was wondering if I should pause and ask for  
10 a question there?

11 COMMISSIONER MORTON: Yeah, is it all right or do you  
12 want me to save questions for later? It's okay?  
13 Yeah.

14 MS. ROY: I just have a little more so maybe I'll just  
15 get through that and then if it's all right you could  
16 have the question then?

17 COMMISSIONER MORTON: Yeah, it's on this slide. Yeah.

18 MS. ROY: Okay. So the second question asked by the  
19 panel was around whether FEI had considered adjusting  
20 the timing of any of the projects to mitigate the rate  
21 impacts. Now, first I would note that two of the  
22 projects are already fully in rates. The remaining  
23 six projects total a rate increase of about 14 percent  
24 over the upcoming 10 years.

25 Second, the projects are necessary  
26 projects, albeit with somewhat different drivers,

1       which fall into the categories of safety, reliability  
2       and resiliency, growth, forced upgrades and enhancing  
3       capabilities.

4               The Inland Gas Upgrade project, which is  
5       under construction with 13 percent of the project cost  
6       already in rates in 2021, and the TIMC project, which  
7       is the CPCN that is before this panel now and has a  
8       rate increase of about 1 percent, are driven by safety  
9       and reliability of the system and to some extent are  
10      related to the age of the system as it comes up on 60  
11      years.

12              The Pattullo Gas Line Replacement project  
13      is one we would have preferred not to undertake at  
14      this time but we were not in control of that project  
15      or its timing. The Okanagan Capacity Upgrade is a  
16      capacity driven project and cannot be delayed without  
17      risking our ability to meet peak demand in that  
18      region. The Tilbury LNG Storage Expansion project is  
19      driven by system resiliency needs that were  
20      highlighted after the October 2018 Enbridge incident.

21              The only project that we have some degree  
22      of control over the timing is the AMI project. But  
23      for that project there are important customer and  
24      operational benefits and savings that would not be  
25      realized with a delay to that project. And although  
26      there is a rate increase in the early years, the AMI

1 project is effectively rate neutral over the life of  
2 the meters.

3 So each of these projects has been proposed  
4 for a reason and has a need that either has been or  
5 will need to be determined to be in the public  
6 interest as each is brought before the BCUC. As part  
7 of the public interest determination, the BCUC will  
8 look at the rate impact of that project, the need for  
9 benefits of that project and the timing of the  
10 project. For all of these projects, our view is that  
11 they cannot be delayed. For safety and reliability  
12 projects, for instance, once they have been identified  
13 we cannot push them off to the future unless there is  
14 some way to otherwise mitigate the risks.

15 We recognize the rate pressure that results  
16 as we go through this period of necessary system  
17 investment and gave consideration to whether we could  
18 delay any of them. But given the drivers, we  
19 concluded that was not possible. If the projects  
20 themselves can't be staggered, then our next option is  
21 to look at rate smoothing or rate mitigation measures.  
22 Where we look at these rate smoothing options is in  
23 our annual reviews and revenue requirement  
24 proceedings, as these are the avenues where we can  
25 consider not only the cost of the projects at the time  
26 they enter rate base, but also any increased demand or

1 cost reductions that can help offset those costs and  
2 the timing of those.

3 So it's in the annual reviews and revenues  
4 requirements that we can see all of the various  
5 factors impacting rates in a year.

6 **Proceeding Time 1:19 p.m. T6**

7 And that's where we will propose any possible rate  
8 mitigation measures once we see the forecast rate  
9 increase for the relevant year.

10 So as an example, even though over 2017 to  
11 2019 period we had an approximate 5 percent increase  
12 due to the investments in the Coastal Transmission  
13 system and the Tilbury 1A, our approved rate increase  
14 over that period was limited to 0.7 percent. During  
15 that time period we had increases in demand and also  
16 cost decreases that helped to offset those costs and  
17 bring those necessary projects in without a  
18 significant rate impact.

19 What this demonstrates is that the timing  
20 of when rate increases occur is not always directly  
21 correlated with when the major projects enter rate  
22 base. So we will be continuing to look for  
23 opportunities to mitigate or smooth in rate increases  
24 in the future and if any opportunities do arise we  
25 will bring these forward for the BCUC's consideration  
26 in future annual review or revenue requirement

1 applications.

2 And I will pause here to see if there are  
3 questions on this material I just discussed before we  
4 move on to the next section. And I guess I can start  
5 with Commissioner Morton.

6 COMMISSIONER MORTON: Thank you. Thanks, Ms. Roy. I  
7 think you may have answered these questions but I'll  
8 just re-ask them anyway for clarity, at least for me.  
9 So first of all, just to clarify, the percent increase  
10 -- the rate increase is along the red line of the  
11 graph. Those are only for these projects shown on  
12 this chart? It does not include any other rate  
13 increase that may occur that year?

14 For example, you know, because of increased  
15 O&M or if there's upward pressure on rates due to, you  
16 know, purchasing RNG or something like that, that  
17 would be over and above these numbers, is that  
18 correct?

19 MS. ROY: Yes, that's correct. This is only the rate  
20 impact from these particular projects shown here. If  
21 there is other cost pressures or if there's increases  
22 in demand or revenue that offset these then they are  
23 not included.

24 COMMISSIONER MORTON: Thank you. And second question is  
25 that you've indicated that some of these projects are  
26 revenue neutral and I wonder if we could just go over

1           them again. What I heard was that the two OIC  
2           projects identified here are revenue neutral and the  
3           AMI is revenue neutral. Did I hear that correctly?  
4 MS. ROY:    Yes, that's correct. The -- and not  
5           necessarily at the time they will come into services  
6           because the --  
7 COMMISSIONER MORTON:   Yes, and that was my next question.  
8 MS. ROY:    Yes.  
9 COMMISSIONER MORTON:   The revenue neutrality, that  
10           doesn't mean that there wouldn't be a rate impact at  
11           some point but presumably you'd get that back again  
12           later on to, you know --  
13 MS. ROY:    Yes, that correct. Both the AMI project is  
14           effectively rate neutral over the life of the meters  
15           and the other two projects, the rates that are being  
16           charged for Woodfibre, for example, are designed to  
17           recover the cost over the life of that project as  
18           well.  
19 COMMISSIONER MORTON:   Right.  
20 MS. ROY:    So you wouldn't necessarily see that through  
21           the entire life. It would vary by year.  
22 COMMISSIONER MORTON:   Right. And presumably that's at  
23           last some basis for your suggestion that a rate  
24           smoothing account could, you know, could possibly deal  
25           -- it certainly could deal with some of that -- some  
26           of the unevenness caused by the revenue neutrality

1 timing issues. Is that what you're -- partly why  
2 you're suggesting that?

3 MS. ROY: Yes, partly that, and one thing that could have  
4 a significant mitigating effect is if we were  
5 successful in securing, for example, some LNG, some  
6 large LNG revenues and the timing when that might  
7 occur would help to mitigate some rate impacts as  
8 well.

9 COMMISSIONER MORTON: Thank you very much.

10 MS. ROY: You're welcome.

11 COMMISSIONER MORTON: Thank you.

12 MS. ROY: Is there any other questions before -- we will  
13 have also a Q&A at the end for other questions that  
14 people will think of as we go further.

15 I don't see any hands up, I don't think.  
16 Okay, great.

17 So I'm going to turn this over now to  
18 Ferenc Pataki and he's going to be discussing  
19 integrity management.

20 **PRESENTATION BY MR. PATAKI:**

21 MR. PATAKI: Thank you, Ms. Roy. My name is Ferenc  
22 Pataki, and I'm the Director of Transmission at FEI.  
23 I'm going to cover two topics as part of today's  
24 workshop.

25 First, FEI's integrity management program  
26 and second, an overview of inline inspection tools,

1 including those currently used by FEI. These topics  
2 will provide some of the context for the application  
3 being considered by the panel.

4 The CTS TIMC project is a pipeline  
5 integrity project required for the Coastal  
6 Transmission System. So let me show it to you and  
7 make sure we all know where it is located and what  
8 areas it serves.

9 **Proceeding Time 1:24 p.m. T7**

10 This is a satellite map of the Lower  
11 Mainland. You can see Vancouver and Burnaby on the  
12 left, Surrey and Langley in the middle, and Abbotsford  
13 in the bottom right of the map.

14 The green lines are our Coastal  
15 transmission system. Gas enters our system at a  
16 location called Huntingdon, that is marked on the map  
17 with a red star in the bottom right corner. Gas flows  
18 from the bottom right of the map towards the top left  
19 of the map, providing gas to the various load centres  
20 in the Lower Mainland.

21 The CTS is about 300 kilometres long, and  
22 serves about 700,000 customers. It also feeds  
23 Vancouver Island at the top of the map as shown by the  
24 blue arrow. As you can see, the Coastal transmission  
25 system is an interconnected system which means that  
26 gas can flow through different pipeline sections to

1 get to the same location.

2 Next slide please.

3 As this project is rooted in FEI's  
4 Integrity Management Program for Pipelines, let me  
5 further explain integrity management for pipelines.  
6 Integrity management refers to the cradle to grave  
7 management of a pipeline's suitability for continued  
8 safe, reliable and environmentally responsible  
9 delivery of natural gas and renewable natural gas to  
10 customers. Under the *Oil and Gas Activities Act*,  
11 FEI's technical regulator, the B.C. Oil and Gas  
12 Commission, requires that all transmission pressure  
13 pipeline operators, including FEI, have an integrity  
14 management program.

15 The requirements of this program are laid  
16 out in CSA Z662, which is the Canadian national  
17 standard for the design, construction, operation and  
18 maintenance of oil and gas pipeline systems. These  
19 integrity management requirements are reflected in  
20 FEI's integrity management program for pipelines  
21 through five hazard categories and 19 activities.

22 Let me show you FEI's integrity management  
23 program, and in doing so, address the BCUC panel's  
24 question regarding how FEI addresses other pipeline  
25 risks.

26 The leftmost column of this table shows the

1 five hazard categories in FEI's integrity management  
2 program, which are third party damage, natural  
3 hazards, time-dependent threat management, material  
4 defects and equipment failures and human factors. All  
5 of these hazards have the potential to undermine the  
6 integrity of a pipeline, and are controlled by  
7 physical and operational barriers as shown by the  
8 example activities in the rightmost column of the  
9 table.

10 Let me illustrate how the hazard categories  
11 and mitigation activities work together. For third  
12 party damage hazards, shown in the top row of the  
13 table, we undertake a mitigation activity called  
14 "right-of-way management" to manage the threat of  
15 someone hitting our pipelines. As part of right-of-  
16 way management, we issue permits to the public who are  
17 planning to undertake activities along the pipeline  
18 and within the right-of-way. Furthermore, we clear  
19 the vegetation along the right-of-way, in order to  
20 make it easy for the public to identify our pipelines.  
21 Finally, we patrol our pipelines on a regular basis to  
22 identify and stop unauthorized activities.

23 The two highlighted hazard categories in  
24 red show where the CTS TIMC project fits with our  
25 integrity management program. In particular, the  
26 project will allow us to undertake activities that

1 will enhance our ability to mitigate two types of  
2 hazards: time-dependent threats, and material  
3 defects.

4 Time-dependent threats, such as stress  
5 corrosion cracking, are anomalies that can grow over  
6 time and lead to a failure. Material defects, such as  
7 seam weld cracks, are anomalies that are left over  
8 from the manufacturing process.

9 We need to be able to monitor the condition  
10 of the pipeline for these anomalies so that we can  
11 determine their interaction with other anomalies like  
12 corrosion, and repair or remove them before they lead  
13 to a pipeline failure.

14 **Proceeding Time 1:29 p.m. T8**

15 As you can imagine, it is very challenging  
16 to find time-dependent threats and material defects  
17 that are located directly on the pipeline because the  
18 pipeline itself is buried and has a coating applied to  
19 it. Because we cannot see the pipeline and therefore  
20 cannot easily assess its condition directly, we need  
21 to turn to sophisticated tools, such as inline  
22 inspection tools, ILI tools for short, to collect data  
23 on the pipeline's condition.

24 So what are ILI tools? This is a picture  
25 of an ILI tool. As you can see, it's a complex  
26 assembly that contains sensor systems and travels

1           within the pipeline to collect location specific data  
2           on the condition of a pipeline. The blue circles are  
3           cups used to move the ILI tool within the pipeline  
4           with the flow of gas. The greyish pieces between the  
5           blue circles are the magnets and sensors.

6                       Let's look at a short video that shows how  
7           an inline inspection tool is run in an operating gas  
8           pipeline such as the one operated by FEI. This video  
9           is from ROSEN, who's an ILI vendor. For clarity, the  
10          orange colour in the video is meant to represent the  
11          flow of natural gas in the pipeline.

12                      I think you've got to click on the centre  
13          of the picture, Janice, to start the video.

14 MR. BYSTROM:        On the arrow.

15 MR. PATAKI:         On the arrow, yeah.

16 MS. ROY:            As luck would have it, Janice is having a bit  
17          of technical difficult, so we'll give her a second  
18          here.

19 THE HEARING OFFICER:    It's the hearing officer here.  
20          The PDF that's on the web is a PDF, so there's no  
21          video in it.

22 MS. JOLY:            I'm going to try this one more time. One  
23          moment, please.

24 MR. BYSTROM:         It's a great video, we promise, so well  
25          worth the wait.

26 MS. WORTH:          I don't think anybody's in any danger of us

1 asking for our money back.

2 MR. PATAKI: There we go.

3 [*Video Playing*]

4 MR. PATAKI: To begin, the ILI tool is loaded into a  
5 tray to prepare it to be inserted into the launching  
6 barrel. The launcher barrel door is opened and the  
7 tool is inserted all the way to the end of the barrel.

8 **Proceeding Time 1:34 p.m. T9**

9 Next, the barrel door is closed and the barrel is  
10 pressurized with gas from the pipeline. The launch  
11 valve is then opened and the gas flow in the pipeline  
12 is diverted into the barrel being the ILI tool.

13 The gas flow in the pipeline propels the  
14 ILI tool into and along the pipeline. Sensors on the  
15 tool record signals used to locate, to identify and to  
16 size pipeline anomalies. There are several types of  
17 ILI tools and each type utilizes different sensors.

18 ILI tools are available for detecting metal  
19 loss anomalies such as corrosion, cracking anomalies  
20 such as stress corrosion cracking and geometric  
21 anomalies such as dents.

22 ILI tools can be used to inspect pipelines  
23 ranging in length from kilometres to hundreds of  
24 kilometres. At the end of the pipeline the ILI tool  
25 is removed from the pipeline in an assembly called the  
26 receiving barrel. As the tool nears the end of the

1 pipeline the barrel valve is opened and the gas is  
2 diverted through the receiving barrel to bring the ILI  
3 tool into it. The barrel is then isolated from the  
4 pipeline, depressurized and purged of gas allowing the  
5 ILI tool to be removed from the pipeline.

6 The data gathered by the ILI tool is  
7 downloaded by the ILI vendor and sent to their  
8 analysis team. Once the vendor ILI analysis is  
9 complete the ILI vendor sends a report of the findings  
10 to FEI. Our system integrity group then conducts  
11 analysis using this information. Integrity digs are  
12 performed as required to repair or to remove near  
13 critical anomalies and to assess the performance of  
14 the ILI tool.

15 This table shows the various ILI tools that  
16 are currently commercially available, what tools FEI  
17 uses today and what tools FEI intends to use.

18 The top row of the table shows the type of  
19 ILI tools commonly used in gas pipelines. The four  
20 types are Geometry, MFL, MFLC [*sic*] and EMAT.

21 The left most column of the table shows the  
22 various anomalies and features that each tool can  
23 identify and collect data on. Each tool is able to  
24 find different anomalies and features on the pipeline  
25 as shown by the check marks in the table.

26 Information from multiple tools is often

1 overlaid to manage interaction threats such as dents  
2 interacting with corrosion.

3 The yellow box around three of the ILI  
4 tools show what tools FEI runs today to collect data  
5 on the condition of its pipelines. The blue box  
6 around EMAT shows the tool that FEI intends to run  
7 under this project to locate, identify and size cracks  
8 and crack-like features on the Coastal Transmission  
9 System.

10 That brings me to the end of my  
11 presentation. And now I will pause for any clarifying  
12 questions.

13 MS. BEVACQUA: I don't see any hands raised at this  
14 point. All right we can -- oh, I do see a hand raised  
15 now. Mr. Bell, please go ahead.

16 MR. BELL: Just to confirm, you will still continue to  
17 run the other tools as well? This will add to your  
18 capabilities, is that correct?

19 MR. PATAKI: Thank you for the question, Mr. Bell. That  
20 is correct.

21 MR. BELL: Okay, thank you.

22 MS. BEVACQUA: Ms. Rhodes?

23 THE CHAIRPERSON: I believe you're on mute, Ms. Rhodes.

24 MS. RHODES: Sorry. Thank you. Two questions. I was  
25 wondering how fast the pig goes through say 50  
26 kilometres, and secondly, are you linked in then to

1 the provider of the system or can that be changed down  
2 the road?

3 MR. PATAKI: So let -- thank you for the question. The  
4 answer to the first question is that the tool travels  
5 at around 1.5 metres a second and I'm not sure what  
6 that is in kilometres per hour, but the optimum speed  
7 for the tool is 1.5 metres per second.

8 And I would appreciate it if you could  
9 repeat or rephrase your second question just to make  
10 sure I understand what you're asking.

11 **Proceeding Time 1:40 p.m. T10**

12 MS. RHODES: I noted that you said the information goes  
13 back to the service provider as opposed to going to  
14 you?

15 MR. PATAKI: That's correct.

16 MS. RHODES: So, I was just wondering if that means  
17 that you are consequently linked in to that service  
18 provider indefinitely? Or is that something that you  
19 could ever change down the road and say send it to  
20 somebody else for analysis?

21 MR. PATAKI: It is linked in with the service provider,  
22 and we take -- we get the data from the service  
23 provider, and then we do our own analysis with the  
24 data as well.

25 MS. RHODES: Okay, thank you.

26 MR. PATAKI: You're welcome.

1 MS. BEVACQUA: Okay, I don't see any other hands  
2 raised. Ferenc, if you want to pass it off?

3 MR. DOYLE: I can jump in there.

4 MS. BEVACQUA: All right, thanks Andrew.

5 **PRESENTATION BY MR. ANDREW DOYLE:**

6 MR. DOYLE: Absolutely. Thank you, Mr. Pataki. My  
7 name is Andrew Doyle, and I'm the manager of gas  
8 system assets here at Fortis. I'll be taking you  
9 through the specifics of the CTS TIMC project,  
10 including the project's need, the alternatives that  
11 were evaluated, and a description of the project  
12 itself. I'm going to start by going over what  
13 cracking threats are, and why FEI needs to mitigate  
14 them on its system.

15 So, the MFL, or magnetic flux leakage, and  
16 MFLC [*sic*], or circumferential magnetic flux leakage  
17 shown on the table that Mr. Pataki showed a couple  
18 slides back there, they're currently run in our  
19 system, and they are highly effective at detecting  
20 volumetric or three-dimensional imperfections, like  
21 corrosion. Unfortunately, they are unable to detect  
22 two-dimensional or planar imperfections like cracks.

23 In most cases, these cracks are considered  
24 time-dependent threats, or threats that get  
25 progressively worse over time, either by themselves,  
26 or in conjunction with something else.

1                   The two images shown on slide 14 are  
2                   examples of cracking that were found on FEI's  
3                   pipelines. The top image shows a cross section of the  
4                   wall of a pipeline. The outer surface is at the top,  
5                   and the inner surface is on the bottom. The black  
6                   line is a crack-like lack of fusion imperfection.  
7                   These types of imperfections are typically introduced  
8                   through manufacturing processes that were common in  
9                   and before the 1970s. Generally, pipe is manufactured  
10                  by taking a steel plate, rolling it into a cylindrical  
11                  shape and welding the edges together into what is  
12                  referred to as the seam weld.

13                  In and before the 1970s, common weld  
14                  procedures resulted in lack of fusion features on the  
15                  inside of the pipeline like the one pictured above.  
16                  The main risk of these features is how they interact  
17                  with corrosion on the outer surface of a pipeline.  
18                  Put simply, corrosion eats through the pipeline wall,  
19                  reducing the thickness in the affected area. If this  
20                  occurs where there is a lack of fusion crack, there is  
21                  less steel remaining and a relatively shallow  
22                  corrosion defect could result in the pipeline's  
23                  failure.

24                  The image at the bottom of this slide shows  
25                  stress corrosion cracking, or SCC. These  
26                  imperfections typically occur on the outer surface of

1 the pipeline. Once a pipeline is buried and in  
2 operation, stress corrosion cracking can occur where  
3 the pipe's coating is of poor quality, or has been  
4 damaged.

5 I'll go through the mechanism of stress  
6 corrosion cracking in more detail in the slides that  
7 follows, as this is the threat that underlies the need  
8 for the CTS TIMC project.

9 So, SCC is the cracking of a material  
10 produced by the combined action of corrosion and  
11 tensile stress. Three elements need to be present for  
12 SCC to occur. The first is susceptible metallic  
13 material. Any steel will be susceptible. The second  
14 is the tensile stress. This is a stress that tries to  
15 pull the material apart. Tensile stress has two  
16 contributing components.

17 The first component is residual stress.  
18 Stresses of this kind result from various activities  
19 in the insulation process, or through the  
20 manufacturing process. An example of this is that the  
21 pipes started as a plate, and generally wants to  
22 return to being a plate. To prevent this, the pipe is  
23 held together by the seam weld.

24 The second component is applied stress. In  
25 typical operation, these stresses are exerted on the  
26 pipe by internal pressure of the service fluid

1 resulting in something called the hoop stress.

2 For FEI, internal pressure is exerted by  
3 the pressurized gas running through the system. This  
4 is shown in the diagram with P-internal resulting in  
5 S-hoop. Applied stresses can also arise from external  
6 pressure exerted on the pipeline, such as post  
7 installation ground movement, or if the pipeline runs  
8 under a road, vehicle loading.

9 The third and final element required for  
10 SCC to be present, is a suitable environment.  
11 Pipeline operators go to great lengths to mitigate  
12 this element. For example, the main purpose of the  
13 pipeline coating is to separate the steel from the  
14 soil, a suitable environment. Separation of the steel  
15 from the surrounding soil protects against SCC and  
16 corrosion generally.

17 **Proceeding Time 1:45 p.m. T11**

18 Operators also apply cathodic protection to  
19 pipelines in order to stop the corrosion reaction  
20 where there are gaps or damage to a pipeline's  
21 coating. Unfortunately in certain situations or with  
22 certain types of older coatings, these mechanisms are  
23 insufficient and SCC can still occur in unpredictable  
24 locations.

25 Similar to corrosion, SCC results in a  
26 decrease in the strength of the pipeline. The image

1 on the right side of slide 20 is an example of SCC  
2 found on FEI's transmission system, with all coating,  
3 corrosion and debris washed away to show the remaining  
4 clean steel. You will note the different in  
5 appearance between the normal steel and the pock-  
6 marked external corrosion. These pock marks show  
7 where the normal steel had been converted to rust, as  
8 depicted in black in the top-left diagram. This  
9 results in a decreased wall thickness.

10 The cracks act in a similar fashion, as  
11 shown in the bottom-left diagram. They too result in  
12 an effective thinning of the wall. If you'll recall  
13 our discussion on applied stresses, the internal  
14 pressure of the gas results in a hoop stress in the  
15 steel. This hoop stress needs to be contained by a  
16 combination of the grade of the steel and the wall  
17 thickness. As the wall is thinned due to corrosion or  
18 cracking, there is less steel to restrain the same  
19 hoop stress. At some point, if the corrosion and  
20 cracks are left to grow, the remaining steel is unable  
21 to contain the pressurized gas resulting in a loss of  
22 containment.

23 There are two possible outcomes where a  
24 loss of containment occurs: a leak or a rupture. A  
25 leak can occur on any pipeline and results in gas  
26 escaping through the crack. Think of your garden hose

1       leaking where it connects to the hose bib on your  
2       home. Water seeps out but does so in a slow and  
3       predictable fashion. FEI manages leaks on its system  
4       by focusing on reducing the probability of a leak  
5       through coatings and cathodic protection or by  
6       reducing the consequences of a failures through the  
7       additions of odorant and leak surveys.

8               In contrast, a rupture can occur on certain  
9       transmission pressure pipelines where gas escapes  
10      violently, splitting open the pipeline similar to a  
11      balloon popping. These are high-consequence failures  
12      that involve an explosion and possibly ignition. FEI  
13      manages potential ruptures by protecting where they  
14      could occur and performing preventative activities to  
15      make sure they do not happen. These include the use  
16      of ILI tools and dig programs for identifying and  
17      addressing corrosion.

18              Any pipeline can leak, but industry and  
19      standards accept that pipelines operating at or above  
20      a certain stress threshold of 30 percent of specified  
21      minimum yield stress, or SMYS, can fail by rupture.  
22      Given that cracks in certain pipelines can lead to  
23      ruptures, which are not acceptable to FEI, and  
24      understanding that FEI's current ILI tools are unable  
25      to detect these cracks, FEI needs to incrementally  
26      improve upon its existing integrity management plan

1 activities to address these threats.

2 The CTS TIMC project will therefore  
3 mitigate the threat of cracking to FEI's transmission  
4 pipelines.

5 As part of this workshop, the BCUC panel  
6 requested that we provide a summary of FEI's past  
7 experience with loss of containment due to SCC. I'd  
8 like to address this now. To date, FEI has not  
9 experienced any pipeline ruptures as a result of SCC.  
10 However, FEI has observed leaks as a result of crack-  
11 like imperfections in the seam welds of its pipes.  
12 And while FEI has not experienced any pipeline  
13 ruptures directly, ruptures resulting from a pipeline  
14 crack have occurred in the broader industry, including  
15 on pipelines of a similar vintage and operating in  
16 similar conditions as those operated by FEI.

17 For example, in 2018 Enbridge experienced a  
18 rupture failure on its Westcoast transmission system.  
19 The rupture occurred at a group of stress corrosion  
20 cracks resulting in an ignition of the gas running  
21 through the system. The image on the left side of  
22 slide 24 shows the size of the crater and the size of  
23 the burned area, while the right image shows the  
24 extent of the cracks on a removed -- or recovered  
25 segment of the failed pipe. This example demonstrates  
26 the severity of a rupture and highlights the

1 importance of preventing the underlying causes of  
2 ruptures, including cracking.

3 As the previous discussion demonstrates, we  
4 now know that cracking is a threat to pipeline  
5 integrity. Per the governing code of pipelines in  
6 B.C., as an operator FEI is required to monitor for  
7 conditions that could lead to failures and to  
8 eliminate or mitigate such conditions where they  
9 exist.

10 **Proceeding Time 1:50 p.m. T12**

11 Cracks are one of these conditions and therefore FEI  
12 has an obligation to address them.

13 We have laid out the risks of cracking, the  
14 challenges FEI faces in detecting them and using  
15 existing ILI tools and the regulatory requirement to  
16 manage them. The natural next question is how does  
17 FEI currently manage cracking threats?

18 To date, FEI has managed cracking by  
19 inspecting transmission pipelines during opportunity  
20 digs such as the one shown in the image on slide 26.

21 Opportunity digs are integrity digs  
22 undertaken based on information gathered by existing  
23 ILI tools. The corrosion and dent detecting tools are  
24 able to find these features and, with the location  
25 known, FEI undertakes integrity digs to inspect and  
26 repair these defects.

1                   With the pipeline exposed due to this non-  
2                   cracking integrity issue FEI takes the opportunity to  
3                   inspect the exposed surface for cracking threats,  
4                   addressing them as required. Opportunity digs are  
5                   therefore the primary mechanism through which FEI has  
6                   in the past found and repaired cracking on its system.

7                   Through opportunity digs FEI has found 26  
8                   instances of cracking. The table on the left of this  
9                   slide show the FEI pipelines in the CTS system where  
10                  cracks have been found. The image on the right is an  
11                  example of a crack within a dent that FEI found on one  
12                  of its transmission pipelines. The dig was initiated  
13                  due to the dent found by the Geometry ILI tool, but  
14                  once exposed FEI also found and repaired the crack.

15                  So what are some of the limitations of  
16                  managing cracking threats as part of FEI's existing  
17                  opportunity dig program?

18                  Well first, over 99 percent of the roughly  
19                  1900 kilometres of FEI's transmissions lines has not  
20                  been excavated or exposed through opportunity digs.  
21                  This means that FEI has direct crack information for  
22                  less than 1 percent of its transmission system.

23                  Secondly, the development of cracks is  
24                  complex, requiring the three elements I discussed  
25                  earlier and therefore is a highly localized and  
26                  unpredictable phenomena. The extent that susceptible

1 material, tensile stress and suitable environment will  
2 contribute to the formation of cracking will vary from  
3 site to site. This means that while we know that  
4 cracking is generally a problem on certain pipelines,  
5 analysis from opportunity digs or existing ILI  
6 information cannot be used to predict where  
7 specifically cracking has or may occur. We are left  
8 knowing that there is a problem but we do not have the  
9 tools or information to say we have it fully  
10 mitigated.

11 FEI is pursuing the TIMC project because  
12 industry knowledge, including our own internal  
13 understanding, has evolved such that we have a more  
14 complete understanding of how SCC can lead to failures  
15 in pipelines, including FEI's Coastal Transmission  
16 System.

17 First, we have a better understanding of  
18 pipeline characteristics that can lead to potentially  
19 injurious SCC, that means SCC that could lead to a  
20 loss of containment, and in particular how these  
21 cracks occur on lower stress pipelines such as those  
22 run by FEI in urban environments.

23 Second, other pipeline operators have also  
24 found potentially injurious cracking on pipelines with  
25 similar characteristics to FEI's.

26 And finally, gas specific crack detection

1 tools are now commercially available and regular use  
2 of them is becoming industry standard.

3 Another questions raised by the BCUC panel  
4 was regarding FEI's definition of acceptable level of  
5 risk as prescribed by CAS Z662. There is currently no  
6 direction in Z662 regarding a quantitative criteria  
7 for risk acceptance.

8 FEI has determined that ruptures are  
9 unacceptable and therefore they are outside of its  
10 acceptable level of risk. Understanding that some of  
11 our pipelines are susceptible to cracking, an  
12 understanding that has been verified by JANA, an  
13 independent risk consultant, and understanding that  
14 the consequences of a failure could be significant,  
15 FEI must do something to address crack threats on its  
16 system.

17 The CTS TMIC Project is a cost-effective  
18 solution to mitigate a known risk. So the question  
19 then becomes where do we start?

20 In 2018 we engaged JANA to help answer this  
21 question through a quantitative risk assessment which  
22 was used to prioritize how we should approach the  
23 potential for cracking on FEI's system.

24 **Proceeding Time 1:55 p.m. T13**

25 Dr. Oliphant from JANA will take you  
26 through the results of their analysis as part of the

1 QRA after we pause to take any clarifying questions on  
2 the material covered so far.

3 MS. BEVACQUA: Thank you, Andrew. We had Mr. Bell with  
4 your hand up first.

5 MR. BELL: Just to make sure I understand, so I thought  
6 I heard you say early in your presentation that this  
7 cracking and corrosion problem is more prevalent in  
8 pipes manufactured in the 1970s and earlier. Did I  
9 hear that correctly?

10 MR. DOYLE: Thank you, Mr. Bell. So different types of  
11 cracking threats are more prevalent in pipelines that  
12 were manufactures prior to 1970. We have some details  
13 in Section 3 of the application on why that is, and in  
14 particular that lack of fusion feature in the seam  
15 weld. When it comes to the stress corrosion cracking  
16 itself, older pipes are generally more susceptible but  
17 1970s isn't necessarily a hard cut off, if that makes  
18 sense.

19 MR. BELL: Okay. And so of the system we're talking  
20 about now, is the vast majority of that in that  
21 vintage then or all of it?

22 MR. DOYLE: There are segments that are of that  
23 vintage. The next segment that Dr. Oliphant's going  
24 to go through, it speaks a bit about which pipeline  
25 are and are not of that. It kind of -- there are a  
26 number of pipelines that are in that vintage.

1 MR. BELL: Okay, but not all. And we can explore that  
2 in a written IR. I just wanted to make sure I  
3 understood.

4 And finally, and again I'm sure we'll  
5 explore this in written IR, do your new construction  
6 standards incorporate the requirements for this kind  
7 of inline inspection?

8 MR. DOYLE: So let me just touch back on that last  
9 question first. All the pipelines that are being  
10 proposed as a part of the CTS TIMC project are at risk  
11 of these cracking threats. So whether they're pre-70s  
12 or post-70s, we've gone through and assessment them  
13 and found everything included in the application is.  
14 And then as far as the construction standards, in  
15 terms of making these pipelines pigable in going  
16 forward, is that your question?

17 MR. BELL: Well, I presume they're pigable to some  
18 degree now. As I read the application, and I haven't  
19 gone through it in detail yet, this is to enhance --  
20 to provide the ability to do what I'll call, for lack  
21 of a better term, enhanced pigging.

22 MR. DOYLE: Yes.

23 MR. BELL: And so, I guess, what I'm asking is, when  
24 you build a new pipeline now would it have the  
25 capability to include all the levels of pigging that  
26 you talked about in your -- or that was talked about

1 in the chart in the last section?

2 MR. DOYLE: Yes, yeah.

3 MR. BELL: Okay, thank you.

4 MR. DOYLE: Good.

5 MS. BEVACQUA: Madam Chair, would you like to go next  
6 or would you like to go last?

7 THE CHAIRPERSON: Why don't I let Mr. Brady Ryall go  
8 first and then I'm happy to clean up.

9 MS. BEVACQUA: Okay.

10 MR. RYALL: Okay, thank you. Earlier you mentioned, I  
11 think, 26 instances of cracking found on FEI's  
12 pipelines, is that correct?

13 MR. DOYLE: I'm sorry, could you repeat the question?

14 MR. RYALL: Yes. Earlier you said that you have found  
15 26 instances of cracking on FEI's pipelines?

16 MR. DOYLE: That's correct, yes, due to these  
17 opportunity digs, that's correct.

18 MR. RYALL: Okay. With -- how many or what proportion  
19 of those would you consider to be stress corrosion  
20 cracking?

21 MR. DOYLE: I believe there's a breakdown of that in  
22 the application.

23 MR. RYALL: Okay.

24 MR. DOYLE: Yeah, as far as stress corrosion cracking  
25 as opposed to the image we found of the dent that had  
26 the crack within it, that's not necessarily stress

1 corrosion cracking but it is still a cracking threat,  
2 right?

3 MR. RYALL: Yes.

4 MR. DOYLE: It needs to be mitigated.

5 MR. RYALL: Okay. Right. And so, but all of these 26  
6 you said were found from opportunity digs. So would  
7 it be fair to assume that they were found in  
8 conjunction with another inline inspection finding of,  
9 say, metal loss or denting?

10 MR. DOYLE: Sometimes they were. A typical integrity  
11 dig will be looking at a feature that can be anywhere  
12 from, you know, ten centimetres to whatever it is, it  
13 may be 100 centimetres, sort of thing, in size. We  
14 need to excavate a larger chunk of the pipe, though,  
15 in order to get the required equipment in there.

16 So we'll take the opportunity to inspect  
17 the five, ten metres around that piece as well. So,  
18 when we found these instances of cracking it wasn't  
19 necessarily on a different feature that could be found  
20 by a different tool that may be in the vicinity, if  
21 that makes sense.

22 **Proceeding Time 2:00 p.m. T14**

23 MR. BELL: Yeah, okay, thank you.

24 MR. DOYLE: Absolutely.

25 MS. BEVACQUA: Thank you, go ahead, Madam Chair.

26 THE CHAIRPERSON: Thank you, Ilva. Mr. Doyle, just a

1 couple of questions. You have indicated that FEI  
2 actually have not experienced any rupture failures as  
3 a result of stress corrosion, cracking, so I'm very  
4 glad to hear that. However, it's observed some leaks,  
5 and then you point to the fact that similar ruptures,  
6 failures have resulted from cracking in industry, and  
7 then you took us to the Enbridge example.

8 I'm just wondering, how does the Enbridge  
9 pipeline compare with FEI's system, in particular the  
10 CTS in terms of age, and then operating pressure?

11 MR. DOYLE: Absolutely, thank you for your question,  
12 Commissioner Fung. The Enbridge pipeline is of a  
13 similar age, and it is at a similar operating  
14 condition to some of FEI's pipelines, but not the  
15 pipelines in the Coastal transmission system. The  
16 pipelines in the Coastal transmission system typically  
17 run at a lower stress level than the Enbridge pipeline  
18 that ruptured does, and so that would be a key  
19 difference.

20 THE CHAIRPERSON: But they are of the same age, is that  
21 correct? Approximately?

22 MR. DOYLE: That's correct, they are of roughly the  
23 same age.

24 THE CHAIRPERSON: So, do I take it from your response  
25 though, that operating pressure does have an influence  
26 in terms of the likelihood of a rupture from stress

1 corrosion then? In other words, the higher the  
2 operating pressure, the more stress, presumably, that  
3 puts on the pipe? Is that correct?

4 MR. DOYLE: In general, yes. If we go back to the  
5 slide where we were talking about the leak versus  
6 rupture, and we had that kind of industry and standard  
7 accepted number of 30 percent SMIS, that is kind of  
8 the limiting factor. So, if you have a pipeline  
9 operating at a lower stress level, it's more likely to  
10 leak than to rupture. There is a point where it kind  
11 of transitions.

12 As far as the ruptures, ruptures go, it all  
13 depends on the severity of the cracking in terms of  
14 whether the pipeline is going to, is going to rupture,  
15 if that makes sense. If it has numerous shallow  
16 cracks, it may not be a problem, but as the cracks get  
17 deeper or more extensive, it will eventually get to a  
18 point where there is a problem.

19 THE CHAIRPERSON: Okay, thank you very much. I will  
20 move on from there. The other question I had for you  
21 relates to slide number 27, which lists the 11  
22 segments that are at issue on this current project.  
23 And it shows you the cracking was found in 7 of the  
24 11, as reviewed by the opportunity digs. Do I take it  
25 on the other four you did not find any cracking based  
26 on opportunity digs that were performed by FEI?

1 MR. DOYLE: That's correct. But again, to highlight  
2 that we have exposed less than one percent of our  
3 transmission system, so just because we haven't found  
4 it, doesn't mean it's not there.

5 THE CHAIRPERSON: So, how then did you arrive at the  
6 conclusion that these are the ones that are  
7 susceptible as opposed to any other ones where you did  
8 not do opportunity digs and found no cracking?

9 MR. DOYLE: Great question. So, first off, we have  
10 done integrity digs on these pipelines, we just  
11 haven't found cracking while looking for other things.  
12 As far as whether we believe they are susceptible, it  
13 has to do with their age, it has to do with the  
14 manufacturing processes that were used in the building  
15 of these pipelines, and it has to do with the coating  
16 type. There are certain older coatings that are more  
17 susceptible to this, and so these pipelines that are  
18 listed, all 11 of them, have some combination of those  
19 factors that put them at risk of SCC.

20 THE CHAIRPERSON: Okay, that's great, thank you very  
21 much, that was helpful. Those are all of my  
22 questions. Thank you, Ilva.

23 MR. DOYLE: Thank you, Chair.

24 MS. BEVACQUA: Thank you.

25 MR. DOYLE: I think I'll pass it off to Dr. Oliphant at  
26 this point?

1     **PRESENTATION BY MR. OLIPHANT:**

2     MR. OLIPHANT:         Thank you, Mr. Doyle. Can the  
3         Commission and everyone hear me clearly?

4     THE CHAIRPERSON:     Yes, we can, thank you.

5     MR. OLIPHANT:         Thank you. I'm Ken Oliphant, executive  
6         Vice president, CTO of JANA, and I oversaw the project  
7         teams that conducted the work that we'll be talking  
8         about this afternoon. Which are first an analysis of  
9         cracking threats, where we did a pipeline-by-pipeline  
10        assessment of the susceptibility to the transmission  
11        pipelines due the cracking threats that Mr. Doyle was  
12        just describing. And also, a quantitative risk  
13        assessment of the transmission pipelines to assess the  
14        relative importance of the cracking threats and to  
15        support the overall planning process.

16                         Next slide please?

17                         Before I get into my summary of those  
18         projects, I just wanted to briefly introduce JANA.  
19         JANA's a engineering and software company founded in  
20         1999, that operates exclusively within the gas  
21         pipeline industry providing quantitative risk  
22         solutions for integrity management, through our 95  
23         engineering, data, software and project management  
24         professionals. And we work with a broad range of  
25         local distribution companies in the gas pipeline  
26         industry with U.S. and Canada.

**Proceeding Time 2:06 p.m. T15**

1  
2 That represents roughly 51 million homes or roughly 60  
3 percent of the pipeline mileage for local gas  
4 distribution companies in North America.

5 The analysis I'll be talking about was  
6 conducted on all three of Fortis' transmission  
7 pipeline systems. The CTS system, which is the focus  
8 of our discussions this afternoon, the ITS or Interior  
9 transmission system, and the Vancouver Island system.

10 Just to go through the scope of the  
11 cracking threats analysis, for those three systems and  
12 the mainline pipelines within those systems which  
13 comprise 35 different pipelines, representing 1900  
14 kilometres, roughly, in terms of mileage, we did a  
15 pipeline-by-pipeline assessment of the susceptibility  
16 of those liens to cracking threats. The assessment  
17 involved looking at the susceptibility, which is do we  
18 expect that we could potentially see cracking on those  
19 pipelines. That was based on an analysis of the  
20 pipelines properties and the operating conditions and  
21 comparing that to where industry stress corrosion and  
22 cracking has been observed. And it was further  
23 supported and verified through an assessment of the  
24 historical dig reports, the opportunity digs that Mr.  
25 Doyle was speaking to, and through SME workshops,  
26 subject matter expert workshops, with Fortis personnel

1 to describe the cracking that they have found to date  
2 on the FEI system.

3 We also then looked at, just because a  
4 pipeline is susceptible to cracking does not mean that  
5 that cracking can grow to failure. We also then  
6 looked at the potential for those cracks to grow to  
7 failure under the Fortis operating conditions, which  
8 involved an analysis of historical industry failures  
9 and then crack growth modeling which was done in  
10 conjunction with Dr. Chen, an expert in stress  
11 corrosion cracking at the University of Alberta. We  
12 also combined that with the outputs of the  
13 quantitative risk assessment to look at the overall  
14 contribution of the cracking threats to the frequency  
15 of failure and risk based on that QRA analysis.

16 In terms of the findings from that work, we  
17 did identify CTS and ITS pipeline with characteristics  
18 that made them susceptible to cracking threats. For  
19 example, the 11 CTS pipelines that we're speaking to  
20 here today and also 9 pipelines on the ITS system. So  
21 of the 35 pipelines analyzed, 25 of those were  
22 identified as being susceptible to cracking threats  
23 and 10 were not.

24 We also, as Mr. Doyle had identified  
25 previously, found that there were stress corrosion  
26 cracking and seam cracking identified in the integrity

1       digs conducted within the CTS and ITS pipeline  
2       systems.

3               We've further identified that the stress  
4       corrosion cracking could potentially grow to failure  
5       under the Fortis operating conditions as industry  
6       failures have been observed within the operating  
7       stress ranges of the Fortis susceptible lines and  
8       through the crack growth rate modeling that was  
9       conducted in conjunction with Dr. Chen at the  
10      University of Alberta. And I'll also show the  
11      relative importance that the QRA identified in terms  
12      of the cracking threats for the susceptible lines  
13      we're speaking to here today.

14              So, in terms of the quantitative risk  
15      assessment, we conducted a baseline quantitative risk  
16      assessment at the system level, where a quantitative  
17      risk assessment is a formal and systematic approach to  
18      estimated risk in terms of the probability and  
19      consequences of potentially hazardous events. The  
20      system level assessments enables identification of  
21      general system risks and the threats driving that risk  
22      to identify where additional integrity management  
23      activities may be warranted. Again, the analysis  
24      involved all three of the mainline transmission  
25      systems, looking at the 35 mainline transmission  
26      pipelines, representing approximately 1900 kilometres.

**Proceeding Time 2:11 p.m. T16**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

As part of the analysis dynamic segmentation was applied to look at -- break down the pipelines, to examine segments with common features that would have common risk across those segments, which resulted in roughly 75,000 pipeline segments being analyzed and for each of those 53 data parameters were used to feed into the quantitative risk assessment, along with the MFL and CMFL ILI data that was available and along with building type structure data to conduct the risk assessment.

The overall approach was presented to the BCOGC, Fortis' technical regulator.

This just shows the different threats that were analyzed as part of the overall quantitative risk assessment. So it analyzed a full set of pipeline threats common to gas transmission pipelines in addition to the stress corrosion cracking threat, so that we could have a relative comparison of the stress corrosion cracking threat importance relative to the other threats to the pipeline system.

As part of the BCUC panel questions, one of the questions was to provide a discussion of FEI's experience with past integrity digs and how the number of integrity digs impacts the safety risk calculation.

In terms of their use in the quantitative

1 risk assessment the corrosion threats, not stress  
2 corrosion cracking but the general corrosion that Mr.  
3 Doyle spoke to, the risk for those threats was based  
4 on the MFL and CMFL identified corrosion features  
5 through those ILI runs and that risk was reduced based  
6 on the repairs that were conducted as evidenced by the  
7 dig reports and FEI criteria, so that the features  
8 that were identified by the ILI runs and removed  
9 through integrity digs, the risk for those sections  
10 was reduced due to those risks being mitigated and  
11 taken out of the system.

12 As Mr. Doyle has mentioned, less than 1  
13 percent of the overall line length had been accessed  
14 or excavated through those integrity digs, so that it  
15 did not have a material impact on the other threats or  
16 risk calculations.

17 In terms of the results, it was identified  
18 that the CTS system has the highest risk of the three  
19 systems when we look at total risk and risk per  
20 kilometre of pipeline. This is driven primarily by  
21 the fact that the CTS system is in a very urban  
22 environment with high potential consequences. The ITS  
23 system had the next highest risk, with similar or  
24 slightly higher potential probability of failures but  
25 in a more rural settings for the most part. And the  
26 Vancouver Island system, because it is a much newer

1 pipeline in largely rural areas have the lowest  
2 overall system risk.

3 Within the CTS system cracking threats were  
4 found to be the greatest contributor to risk in that  
5 system. And if we look at that at the pipeline level,  
6 for the 11 CTS pipelines that were identified as  
7 susceptible to cracking threats, cracking threats were  
8 the top driver of risk for 9 of those pipelines and  
9 the second and fourth top line pipeline level threat  
10 for the other two pipelines, though there were  
11 specific sections within each of those pipelines where  
12 cracking threats were the top driver of risk.

13 Overall therefore, based on our analysis we  
14 concluded that there are specific pipelines within the  
15 Fortis system that are verified as being susceptible  
16 to cracking threats. The QRA verified that cracking  
17 is a credible threat for those susceptible pipelines,  
18 that the CTS system has the highest overall system  
19 risk and that cracking threats are the dominant risk  
20 for that CTS system.

21 Thank you, and with that I'd be happy to  
22 answer any questions that you may have.

23 MS. BEVACQUA: Madam Chair?

24 THE CHAIRPERSON: Thank you, Ilva. Thank you very much,  
25 Mr. Oliphant. I just have a question with respect to  
26 the scope of analysis of cracking threats. You've

1 mentioned on slide 35 that you examined as part of  
2 that analysis the CTS, ITS, as well as VITS Mainline  
3 pipeline, and in total you examined 35 pipelines.

4 **Proceeding Time 2:16 p.m. T17**

5 I'm interested in knowing what was the  
6 breakdown between the three areas? CTS, ITS, VITS for  
7 those 35 if you recall? Just a rough -- I don't need  
8 the exact --.

9 MR. OLIPHANT: In terms of the total number of  
10 pipelines in each system?

11 THE CHAIRPERSON: Correct.

12 MR. OLIPHANT: All right, I have that explicit  
13 information in my notes here, although Fortis would  
14 probably be able to answer that more quickly.

15 THE CHAIRPERSON: You know what, why don't you just  
16 leave that. If you wanted to provide it afterwards,  
17 or we can ask a follow up in IR, that's fine.  
18 Because, I assume that the sample size is going to  
19 have a bit of influence as to how you came to your  
20 conclusion with respect to where the greatest area of  
21 risk lies? Depending on how many you examined in each  
22 one of those areas?

23 MR. OLIPHANT: That's why we express the risk, both in  
24 terms of total system risk, and in terms of risk per  
25 kilometre. So that -- and, and the CTS system has the  
26 highest risk on both of those attributes. So in terms

1 of total risk, which is a length and, you know,  
2 adjusted -- it includes the total length of the  
3 system, and then the risk per kilometre, and on both  
4 of those measures the CTS system has the highest risk.  
5 There were 13 CTS systems, and 12 -- or sorry, 13 CTS  
6 pipelines, 12 ITS pipelines and 10 Vancouver Island  
7 pipelines.

8 THE CHAIRPERSON: Thank you very much. Next question  
9 for you is on your QRA, or the quantitative risk  
10 assessment analysis, those 11 CTS pipelines that were  
11 identified as being more susceptible to cracking  
12 threats, were they amongst the 13 that you looked at  
13 in terms of your initial analysis of cracking threats?  
14 Or were these a subset afterwards in your QRA?

15 MR. OLIPHANT: So, for both the analysis of cracking  
16 threats and the QRA, we looked at all 35 pipelines.

17 THE CHAIRPERSON: But I'm asking specific about the 11,  
18 the ones that are at issue in this application? Were  
19 all 11 within that sample of 13?

20 MR. OLIPHANT: Yes, so there were 13 -- it wasn't a  
21 sample, it was all the mainline transmission  
22 pipelines, for which MFL and CFMFL [*sic*] inspections  
23 had been run, which was a total of 35 pipelines, 13 of  
24 those in the CTS system, 12 in the ITS and 10 in the  
25 Vancouver Island. So, all the mainline transmission  
26 pipelines were analyzed, and 11 of the 13 were found

1 to be susceptible.

2 THE CHAIRPERSON: And what caused you to exclude the  
3 other two then?

4 MR. OLIPHANT: They were based on the age of  
5 construction and the coating type, primarily, were  
6 pipelines that based on those features, they're  
7 generally newer pipelines, with coating types that are  
8 much less susceptible to the cracking threats, and  
9 construction practices that make them much less  
10 susceptible to the seam welds cracking.

11 THE CHAIRPERSON: Okay, so based on your analysis, you  
12 only excluded 2 of the 13 from inclusion in this  
13 particular project?

14 MR. OLIPHANT: Two of the 13 CTS systems were excluded,  
15 all 10 of the Vancouver Island systems were excluded  
16 because again they were newer pipelines with coating  
17 types that are generally considered to be much less  
18 susceptible to cracking threats, and three of the ITS  
19 systems, again, based on their age and coating types  
20 were excluded.

21 THE CHAIRPERSON: Okay, thank you very much. Those are  
22 all my questions, and I see that Commissioner Morton  
23 has his hand up, followed by Mr. Craig, and then Mr.  
24 Ryall.

25 COMMISSIONER MORTON: Thank you. Mr. Oliphant, this  
26 question is actually beyond the scope of your study,

1 or even this proceeding, so please choose not to  
2 answer it if you don't want to, but it's just a  
3 curiosity. Given what we've heard about the  
4 transmission system, is the distribution pipe  
5 potentially susceptible to the same things? Or is it  
6 because of the lower pressure? It's -- it's not as  
7 big a worry? Again, just, just a general curiosity  
8 question. Not asking you about Fortis' distribution  
9 system.

10 MR. OLIPHANT: Yes, generally the distribution systems  
11 are operating at much lower pressures and stresses,  
12 and are not considered generally susceptible to stress  
13 corrosion cracking.

14 COMMISSIONER MORTON: Okay, thank you.

15 MS. BEVACQUA: And we'll go over to Mr. Craig?

16 MR. CRAIG: Thank you. Mr. Oliphant, you are measuring  
17 risk on a per-kilometre basis, SRU per kilometer?

18 MR. OLIPHANT: Yes, I guess the risk was calculated at  
19 a granular level, and for each pipeline segment on a  
20 per kilometre basis.

21 **Proceeding Time 2:22 p.m. T18**

22 MR. CRAIG: And my question is to go to, is it a  
23 quantitative measure system and could you explain a  
24 little bit of how that measurement works?

25 MR. OLIPHANT: Thank you for the question, certainly.  
26 So, the quantitative analysis looks at the threats

1           that we had identified in the previous slide. And for  
2           each of those threats looks at making an estimate of  
3           the probability of failure or gas release across the  
4           different types of release scenarios, ranging from a  
5           small pinhole leak, medium sized leak, large leaks and  
6           ruptures. And then for each of those looks at the  
7           consequence scenarios for that.

8                         So it's a probability of failure expressed  
9           on a per kilometre basis, multiplied by the potential  
10          consequences of that failure. And the consequences  
11          themselves were calculated based on industry standard  
12          calculation approaches for looking at the potential  
13          consequences of gas pipeline releases.

14 MR. CRAIG:         So this is a fully professional measurement  
15          system for risk?

16 MR. OLIPHANT:       Yes.

17 MR. CRAIG:         Appreciate it, thank you.

18 MS. BEVACQUA:       And over to Mr. Ryall.

19 MR. RYALL:         Okay, thank you. Mr. Oliphant, was your  
20          company contracted by Fortis to conduct a quantitative  
21          risk assessment on the entire -- I guess, on all the  
22          threats to the transmission system or was it to  
23          evaluate the risk of cracking in relation to the other  
24          -- in relation to other threats. And the distinction  
25          I'm trying to draw is, did you do your risk assessment  
26          looking at all the threats and then the cracking

1 threat is the one that fell out of your analysis as  
2 the dominant risk?

3 MR. OLIPHANT: Thank you for the question. The risk  
4 assessment was conducted on all the different threats  
5 for the pipelines system and the cracking threats came  
6 out as the highest threat. Just to be specific, just  
7 within those 11 lines identified as susceptible to  
8 cracking threats, it was the highest threat for two of  
9 those -- or for nine of those 11 pipelines. For two  
10 of them it was not the highest cracking threat. And  
11 it was not an appreciable threat to the other  
12 pipelines, for example the Vancouver Island pipeline  
13 system and the other pipelines where cracking threats  
14 were not identified -- or were not identified as being  
15 susceptible to cracking threats.

16 Did that answer your question?

17 MR. RYALL: Yes it did, thank you.

18 MS. BEVACQUA: Thank you. And over to Mr. Weafer.

19 MR. C. WEAFER: Thank you. Mr. Oliphant, I just have a  
20 clarification question on page 39 of your slide deck.  
21 And then the -- it's the third bullet point, "Approach  
22 presented to technical regulator (BC OGC)". Can I  
23 just get an understanding, what was the result of  
24 that? I take it this QRA was taken as an acceptable  
25 step by the Oil and Gas Commission in terms of  
26 analysis of the pipeline? Is that what happened? I

1 just don't know the background to this.

2 MR. OLIPHANT: Yes, and maybe Fortis can provide the  
3 details of that in terms of the communications back  
4 from the regulator to Fortis. But the review -- we  
5 presented a workshop and review of the approach to the  
6 technical regulator and I'll maybe pass it to Fortis  
7 to speak to the specific response back from the BC  
8 OGC.

9 MR. BALMER: Good afternoon, my name is Bryan Balmer.  
10 I'm manager of system integrity programs at FortisBC  
11 and thanks for your question, Mr. Weafer.

12 So, yes, FortisBC did present to the B.C.  
13 Oil and Gas Commission on our progress to date on  
14 quantitative risk assessment and they did -- I forget  
15 the exact words that you used, Mr. Weafer, but it did  
16 characterize that, yes, the BC OGC accepted our  
17 progress to date as sufficient evidence to close a  
18 corrective action monitoring that they had previously  
19 established with FortisBC.

20 **Proceeding Time 2:27 p.m. T19**

21 MR. C. WEAFFER: Okay, and thank you. And just -- and  
22 we can pursue this in IRs and so you don't have to  
23 answer this now, but Enbridge has been used as an  
24 example as to what we need to be looking at. There  
25 was a rupture on the Enbridge line. My understanding  
26 is Enbridge was in effect sanctioned by the Canadian

1 Energy Regulator for -- and I won't phrase this  
2 properly because I don't have it in front of me, but  
3 with respect to their maintenance or ongoing upkeep of  
4 the pipe. We're not in that situation with Fortis,  
5 right now, is that fair to say?

6 MR. BALMER: That's correct. We're not under any order  
7 from the B.C. Oil & Gas Commission with respect to our  
8 operation of our pipelines.

9 MR. C. WEAFFER: Okay, yeah and so the Enbridge example  
10 was found to be they were not up to standard in terms  
11 of that rupture, as I understood the result of that.  
12 So that's not what we're looking at as we look at  
13 Fortis now. What we're looking at is avoiding moving  
14 into that situation. Is that a fair statement of the  
15 objective?

16 MR. BALMER: Yeah, there's a few nuances, I believe,  
17 there. So the first is, and I wouldn't necessarily  
18 want to make the leap that Enbridge was not meeting  
19 standards prior to that failure, but perhaps if I may  
20 offer that it -- that in industry practice or in  
21 regulatory practice that following an incident it can  
22 happen that a regulator would ask an operator to  
23 reduce their operating pressure and then take steps to  
24 demonstrate the safety of their system prior to  
25 resuming regular operations, and that's how I might  
26 characterize what happened with Enbridge.

1 MR. C. WEAFFER: Well, we can leave that. I don't want to  
2 debate it. I think there was a finding after the fact  
3 that there was a problem, that Enbridge was -- so we  
4 don't need to -- what I'm trying to understand is --  
5 and I think it's been conveyed, is Fortis is in  
6 compliance, Fortis QRA was accepted by the technical  
7 regulator and this is another step you wish you take  
8 with this project, is that a fair summary?

9 MR. BALMER: Absolutely. This is a continuing  
10 improvement to enhance our integrity management  
11 practices in accordance with industry practice and  
12 leveraging available technology and addressing a  
13 hazard to our system. So yes, thanks.

14 MR. C. WEAFFER: Okay, but we'll follow up with the IRs.  
15 No, thank you for the responses and for the  
16 presentation. It's very helpful.

17 MR. BALMER: Thank you.

18 MS. BEVACQUA: Thank you. I don't see any other hands up  
19 at this point so we'll pass it back to Andrew Doyle to  
20 wrap it up.

21 **PRESENTATION BY MR. ANDREW DOYLE:**

22 MR. DOYLE: Thank you. All right. So in this section of  
23 today's workshop I will be going through how FEI  
24 evaluated the possible project alternatives and  
25 selected EMT ILI as the preferred solution to  
26 identifying cracking threats on the CTS.

1 FEI considered six alternatives against a  
2 number of criteria. These criteria consisted of the  
3 method effectiveness, which considers how effective  
4 the alternative was in enhancing FEI's ability to  
5 mitigate in-service pipeline failures resulting from  
6 cracking threats.

7 Second, was implementation complexity,  
8 which considers how readily the alternative can be  
9 implemented on FEI's system and the relative  
10 complexity of performing the alternative.

11 Third was community and environmental  
12 impacts, which considered the potential effects on the  
13 aforementioned while performing the field activities  
14 associate with each alternative and if deemed  
15 feasible, a financial analysis was completed on the  
16 net present value of total capital and O&M costs  
17 associated with the alternative.

18 At a high level the six alternatives  
19 considered consisted of stress corrosion cracking  
20 direct assessment, which attempts to predict SCC by  
21 inferring the pipe condition from the findings of a  
22 limited number of opportunity digs. This alternative  
23 was deemed non-feasible as it cannot reliably identify  
24 all locations or the extent of cracking on the system.

25 The second alternative was the installation  
26 of a pressure regulating station on the pipeline that

1 is capable of reducing the pressure of the pipeline  
2 such that it is no longer at risk of rupture. This  
3 alternative was deemed non-feasible as said pressure  
4 reduction results in a reduced volume of gas leaving  
5 FEI unable to supply its customers' energy needs.

6 **Proceeding Time 2:32 p.m. T20**

7 The third alternative was to implement a  
8 hydrostatic testing program. This consists of  
9 removing each pipeline from operation periodically,  
10 typically every four to five years, filling it with  
11 water, and raising the pressure of the water to a  
12 specified limit. Flaws in the pipeline would be found  
13 by causing them to fail in a controlled manner. Then  
14 the failures would be located and repaired, which  
15 would allow the operator to confidently operate the  
16 pipeline until the next test.

17 We have provided a detailed explanation of  
18 the challenges associated with this alternative in  
19 section 4 of the application. But in short, it was  
20 removed from consideration because of the  
21 impracticability of FEI taking these pipelines out of  
22 service on such a frequent basis, and the impacts to  
23 the community from undertaking the required  
24 activities.

25 The fourth alternative was to add  
26 electromagnetic acoustic transducer inline inspection

1 tools, or EMAT ILI, to our existing integrity  
2 management ILI program, to collect cracking data that  
3 would then be actioned and repaired under our existing  
4 integrity dig program. This alternative was deemed  
5 feasible.

6 The fifth option was a pipeline  
7 replacement, replacing all susceptible pipelines with  
8 new, non-susceptible ones. And the last option was a  
9 major rehabilitation effort of pipeline exposure are  
10 recoating. This would consist of excavating the  
11 entire line, inspecting for and repairing cracks, then  
12 recoating the pipes in place.

13 These last two options were rejected due to  
14 high costs and community impacts associated with the  
15 work. This left EMAT ILI as the sole feasible  
16 alternative to mitigate cracking on the CTS. It is  
17 highly effective at detecting cracks. It can be  
18 implemented relatively easily as FEI is already  
19 running ILI tools, and it limits impacts to the public  
20 as the integrity digs would be undertaken to directly  
21 address a known integrity threat. In addition, the  
22 information gathered can be utilized in FEI's ongoing  
23 QRA's to improve and inform integrity management  
24 activities related to time dependent threats. This  
25 aligns with both our integrity management, and the  
26 practices of the industry at large.

1                   Another question raised by the BCUC panel  
2                   was to discuss other industry standard crack detection  
3                   tools, including tools other than EMAT ILI.

4                   Part of the challenge of adopting crack  
5                   detection technology is a general lack of other tools.  
6                   There are tools that work on liquids lines, such as  
7                   ultrasonic crack detection, but this technology  
8                   requires a liquid carrier between the tool and the  
9                   wall of the pipeline. While it can be run in a dry  
10                  gas line, a liquid slug has to be introduced to carry  
11                  the tool, which leads to challenges with the  
12                  interconnected system FEI operates as it pertains to  
13                  getting the liquids out of the pipeline afterwards.

14                  There are also robotic driven tools, but  
15                  these were designed to inspect short lengths of  
16                  facility pipelines, rather than the long transmission  
17                  lines such as the ones FEI is looking at.

18                  The EMAT tool was specifically designed for  
19                  use in gas pipelines, and is the current industry  
20                  standard for crack detection. As FEI's pipelines  
21                  support ILI tools, the EMAT option is a feasible and  
22                  effective option for detecting cracking threats.

23                  This video explains how the EMAT ILI tool  
24                  detects cracks and areas of disbanded coating, which  
25                  we will watch now.

26 MS. BEVACQUA:       Seems to have the same technical issues,

1           so we're just going to refresh it. We could take the  
2           question from Mr. Bell while we wait?

3 MR. BELL:           Sorry, just a quick one. When you had your  
4           slide evaluation alternatives, you're talking about  
5           the EMAT system detects cracks very well. Are you  
6           going to repair every crack you detect? Or will you  
7           have standards to say when it reaches a certain size  
8           you'll dig and repair?

9 MR. DOYLE:          Great question, Mr. Bell. We'll take a  
10          similar approach to our corrosion management program  
11          right now, which is to get the results, to evaluate  
12          the results as it pertains to the pipeline itself.  
13          We're able to detect what size of defect, whether it  
14          be a crack or corrosion would be necessary to really  
15          be a threat to our pipeline, and we'll be able to  
16          determine which, which findings need to be actioned  
17          immediately, and which can be, can be just evaluated  
18          -- or we can wait until we run the tool the next time.  
19          So, we won't be digging up every indication.

20 MR. BELL:           Thank you.

21 MS. BEVACQUA:       Madam Chair, did you want to answer  
22           [SIC] your question first?

23 THE CHAIRPERSON:    It doesn't matter, if the video is  
24           ready, I'm happy to watch it first.

25 MS. BEVACQUA:       Okay.

26 MR. DOYLE:          Just before we do the video, just to jump

1 back to that, Mr. Bell. The one other thing that, the  
2 challenge we have, is the interaction of defects. So,  
3 if you'll recall from the first part, we were talking  
4 about the lack of fusion features and how they can  
5 interact with corrosion defects. And so, when I  
6 mention we can measure corrosion, indeed I can figure  
7 out when we need to dig it up.

8 **Proceeding Time 2:37 p.m. T21**

9 If we don't know about that, the lack of  
10 fusion, then obviously we may misrepresent how deep  
11 the corrosion pocket can be. So that would be one  
12 thing that we would have to be careful about is we'd  
13 be overlaying these different data sets on top of each  
14 other and figuring out which ones need to be actioned.

15 MR. BELL: Okay, thank you.

16 *[Video playing]*

17 MR. DOYLE: All right. So this video is also by ROSEN  
18 and it starts out with us at the end of the process.  
19 So it has the excavator and they're starting their  
20 targeted integrity at this point to fix a problem that  
21 was food by the tool. In this case the issue is a  
22 disbonded coating area that was found, and that's  
23 depicted in that lighter grey colour on the pipeline.  
24 This is the target of the dig.

25 So as the video rewinds it shows the EMAT  
26 ILI tool running through the pipeline. And it shows

1           how the sensor picks up and logs features on the  
2           pipeline. Please note the sensor log along the bottom  
3           of the video. This captures the location and the  
4           severity of any issues providing the data that the  
5           operator will use to scope and schedule the integrity  
6           digs.

7                         This tool uses a different sensor than the  
8           other tools used by FEI, which allows for the  
9           detection of cracks. This diagram explains the  
10          operating principle behind the sensor. EMAT tools use  
11          electromagnets to induce an ultrasonic pulse within  
12          the steel walls of the pipeline. Sensors then detect  
13          changes in the pulse to identify areas of potential  
14          concerns, such as cracks.

15                        This information, along with the location  
16          of the tool at the time that the crack was found or  
17          the defect was found, is stored and will be analyzed  
18          and actioned after the run. This allows FEI to know  
19          where the issues are and to respond appropriately.

20                        I'll just let the video play out.

21 VOICE:           That was a fast fix.

22 MR. DOYLE:        If only they were all that fast, hey?

23                        So, there are four requirements in order to  
24          successfully undertake an EMAT ILI run. First, the  
25          tool needs to be able to pass through the pipeline.  
26          This means that there can be nothing on the pipeline

1 that would obstruct the tool and that the launching  
2 and receiving barrels are compatible with the tools.  
3 The pipelines included in the CTS TIMC project have  
4 been running ILI tools for years, so there's nothing  
5 that will block the EMAT ILI tool. However, EMAT  
6 tools are longer than FEI's existing tools so most of  
7 the existing barrels will need to be extended.

8 Second, the tool needs to travel within its  
9 optimal velocity range for cracks to be properly  
10 detected. Due to the sensor technology, EMAT tools  
11 need to move slower than the tools FEI is currently  
12 using. FEI has some ability to manage velocities  
13 within its system but additional capabilities are  
14 required.

15 Third, the tool needs to move at a  
16 consistent speed as the optimal velocity range for  
17 EMAT is narrow. Should the tool travel too fast or  
18 too slow, sections of pipeline will have low-quality  
19 data. These changes in speed or speed excursions are  
20 typically due to sections of pipe with a thicker wall  
21 historically used in higher stress environments such  
22 as under roads.

23 Finally, FEI needs the ability to respond  
24 to any findings. This typically requires a pressure  
25 drop to ensure safe digging and inspection activities.  
26 Currently, the CTS has a single pressure control point

1 and any pressure drops affects the entire system. To  
2 be successful in responding to these threats, FEI  
3 needs a more granular way to drop the pressure in  
4 specific pipelines.

5 I think we'll take a second to answer your  
6 question, Commissioner Fung.

7 **Proceeding Time 2:42 p.m. T22**

8 THE CHAIRPERSON: Yes, thank you, Mr. Doyle. I just want  
9 to go back to your slide 48 where you discuss the six  
10 alternatives that were considered by FEI before  
11 launching this particular program, and you indicated  
12 that the pressure regulating station was not a  
13 feasible option from a technical perspective.

14 However, as I understand it, in addition to  
15 the 11 where the ILI is being proposed as a solution  
16 there's at least one other pipeline where you are  
17 actually implementing a pressure regulating station as  
18 an option because ILI is just not possible.

19 So maybe you can just explain the reason  
20 for that and why the discrepancy.

21 MR. DOYLE: Absolutely, Commissioner Fung, I'd be happy  
22 to explain that. So we're looking at our general  
23 options here. We're looking at a system-wide approach  
24 to dealing with cracking and when we look at the  
25 system as a whole for the Coastal Transmission System  
26 we're unable to drop the pressure because we simply

1 don't have the capacity. It would require -- we'll  
2 get into what it would require later.

3 That said, when we moved forward with the  
4 EMAT option and we got to that particular leg of that  
5 pipeline which runs from the Noons Creek facility down  
6 to the old Cape Horn -- or sorry, the old Burrard  
7 Thermal Plant run by BC Hydro, that was the only load  
8 on that particular line and that facility was  
9 deactivated a number of years ago, which means that we  
10 don't actually have the flows in that section of pipe  
11 to run EMAT ILI tool.

12 We did some analysis and found that without  
13 that large industrial demand point at the end there  
14 was no need for the pipe to be as large as it was and  
15 found that the best way in that scenario to deal with  
16 cracking threats was to reduce the pressure.

17 THE CHAIRPERSON: Thank you very much, Mr. Doyle. That  
18 explains it for me, thanks.

19 I believe, Ilva, the last one is for the  
20 pilot and lessons learned from it.

21 MR. DOYLE: Yes, if you go back to slide 52, please.  
22 Thank you.

23 So based on our understanding of these  
24 requirements and to improve our development activities  
25 for the project, FEI decided to undertake a EMAT ILI  
26 pilot project. In the next section I will go over

1       this pilot project, including an overview of its  
2       scoping and the key lessons learned.

3               When we considered the possible scope of  
4       the pilot project we wanted to find pipelines with a  
5       history of SCC that were already able to pass the EMAT  
6       tools. This would theoretically allow FEI to receive  
7       the results prior to finalizing the development of the  
8       CTS TIMC Project and so that the lessons learned could  
9       be used to refine our approach on the project.

10              The two pipelines selected are highlighted  
11       in blue on the map on slide 53. They required  
12       relatively minor alterations limited to barrel  
13       extensions to accommodate the longer tools and  
14       pressure reduction stations to support FEI's response  
15       to the information gathered. The barrels were altered  
16       at the end points of the blue lines shown on the map  
17       and a pressure reduction station was installed on each  
18       to allow for response.

19              The BCUC panel has asked us to discuss what  
20       we learned from the pilot project. Well first, the  
21       tool runs were successful. They traveled through the  
22       pipeline as planned. High quality data was collected  
23       and FEI was able to find and action cracking threats.

24              Secondly, FEI had three key assumptions  
25       that form the basis for the project that were  
26       confirmed and validated by the results. First, they

1 confirmed FEI's understand that there were  
2 unidentified cracking threats on our system that  
3 require identification, management and mitigation.  
4 This image is of a previously undetected seam weld  
5 crack that was identified by the EMAT ILI tool during  
6 the pilot project.

7 Second, then confirmed FEI's approach was  
8 valid. It was assumed that they behavior of the MFLC  
9 tool when it passed something causing a speed  
10 excursion would predict the way that the EMAT tool  
11 would behave when it passed the same component. In  
12 other words, areas with high or low speeds on FEI's  
13 MFLC data set indicated that the same speed variation  
14 was likely in the EMAT tool data set.

15 Analysis of the results confirmed that  
16 there was a reasonable correlation between the  
17 behavior of the two tools. It also indicated that the  
18 EMAT tool recovered from these changes in velocity  
19 over a shorter distance than the MFLC tool, returning  
20 to its optimal speed over a shorter distance.

21 **Proceeding Time 2:42 p.m. T23**

22 This allowed FEI to refine the scope of the project.

23 Third, the results confirmed that the post-  
24 run response was appropriate. The additional pressure  
25 reduction facilities installed allowed FEI to  
26 successfully respond to the unpredictable findings in

1 a timely and effective manner.

2 In addition to these confirmations, the  
3 pilot allowed us to refine the design and  
4 implementation of some of our system alterations,  
5 including how we approached barrel modifications and  
6 pressure reduction stations.

7 With these lessons learned, FEI was able to  
8 validate the scope of the modifications required to  
9 the CTS to allow for a successful EMAT ILI program.

10 I will now discuss the modifications  
11 required for the CTS TIMC project.

12 MS. BEVACQUA: Andrew, perhaps I'll stop you there,  
13 just given the time. I think I will be in Madam  
14 Chair's hands whether we should take a break now, as  
15 with the questions we've gone longer than we expected  
16 at this point?

17 THE CHAIRPERSON: I think we've been going close to two  
18 hours now, and perhaps if you don't mind, Mr. Doyle,  
19 and I hate to do this to you before you kind of finish  
20 off, if we could just take a break, maybe even just  
21 for ten minutes just to give everybody a chance to  
22 stretch their legs, and use the facilities if needed.

23 MS. BEVACQUA: And in the interest of time, we are  
24 happy if you want to take a longer break and then  
25 we'll just roll right into the Q&A period after, it's  
26 up to you.

1 THE CHAIRPERSON: Does anybody have a preference?

2 COMMISSIONER MORTON: I personally think that is a good  
3 suggestion. I can live with just one break.

4 THE CHAIRPERSON: Let's then take maybe a 15-minute  
5 break and have everybody come back. And I notice that  
6 really the project description presentation is just a  
7 summary essentially --

8 COMMISSIONER MORTON: Yeah.

9 THE CHAIRPERSON: -- of what the implementation of the  
10 project would look like, and I don't want to do short  
11 shift to Mr. Doyle because I know he spent time on  
12 doing this, but perhaps you could just run through  
13 that quickly and then we can reserve the rest of the  
14 time for questions? All right?

15 MS. BEVACQUA: Excellent.

16 THE CHAIRPERSON: So, we will reconvene then at 5 after  
17 3, and enjoy your break everyone. Thank you.

18 **(PROCEEDINGS ADJOURNED AT 2:49 P.M.)**

19 **(PROCEEDINGS RESUMED AT 3:06 P.M.)** **T24-26**

20 MS. BEVACQUA: All right, back to you, Andrew.

21 MR. DOYLE: Great. So pick up right on slide 56 with a  
22 description of the project itself. So, to  
23 successfully run these tools there are two major  
24 components. There are 13 locations on the pipelines  
25 that we need to modify them to ensure that they do not  
26 negatively affect the consistency of the speed of the

1 EMAT ILI tool as it passes through the pipeline. All  
2 13 locations are sections of heavy wall pipe. They  
3 are shown as red triangles on the map on slide 56.  
4 Each section will be replaced with a new pipe of  
5 appropriate wall thickness for the EMAT ILI tool to  
6 pass at a consistent speed.

7 Secondly, there are 13 facilities that  
8 require alterations within the Coastal transmission  
9 system, shown as blue triangles on the map on slide  
10 57. These include modifications to existing tool  
11 launching and receiving barrels to accommodate the  
12 longer EMAT tools, as well as the addition of pressure  
13 and flow control equipment.

14 The image on slide 58 is from the pilot  
15 project. On the right-hand side you will see the  
16 barrel. The portion that is painted white was the  
17 legacy barrel and the brown section is the extension  
18 that was required to accommodate the longer EMAT tool.  
19 We also need to add flow control equipment to ensure  
20 required tool velocities can be maintained,  
21 facilitating high-quality data collection and pressure  
22 control equipment to provide the operational  
23 flexibility required to quickly and safely respond to  
24 anomalies found as a result of the EMAT ILI run. This  
25 is an image of one of the new pressure control  
26 stations that was added to the system as a part of the

1 pilot project.

2 The BCUC panel has asked how running EMAT  
3 ILI tools will fit within FEI's broader SCC management  
4 plan. Running the tools is just one step of a broader  
5 management plan, as gathering the information is not  
6 enough on its own to mitigate the threat. The CTS  
7 TIMC project will prepare the system. Once complete,  
8 FEI will run the tools and the tool vendor will  
9 analyze the data. FEI will incorporate the analysis  
10 into its integrity dig program, evaluating anomalies  
11 and repairing cracks. The information gathered will  
12 allow FEI to make informed integrity related decisions  
13 about future work and risks to the line. This will  
14 allow FEI to answer questions like, when will we next  
15 run the tool? Is there missing data that needs to be  
16 actioned sooner? And what is the appropriate response  
17 and timeline for mitigation?

18 This mirrors the approach used by FEI after  
19 its current ILI tool runs and ensures that the threats  
20 are actively and sufficiently mitigated.

21 Therefore, FEI is requesting the following  
22 approvals as laid out in Section 2 of the CTS TIMC  
23 application. First, that the Commission grant a CPCN  
24 for FEI to proceed with the project as described in  
25 Section 5 of the application. And second, that the  
26 Commission grant the requested treatment of

1 development costs as laid out in Section 6.2 of the  
2 application.

3 And that concludes the material that has  
4 been formally prepared for presentation today. Open  
5 it up to questions.

6 MS. BEVACQUA: So for the question period we will have  
7 Paul Chernikhowsky be the moderator for questions.  
8 And then, Paul, perhaps you might want to check with  
9 Mr. Ryall, as he had his hand up prior to the break.

10 MR. CHERNIKHOWSKY: Okay. Thank you very much. Yes,  
11 so, Paul Chernikhowsky, I'm the director of regulatory  
12 projects and resource planning at FortisBC. And I  
13 will act as the moderator for the session.

14 So, yes, Mr. Ryall, if you would like to go  
15 ahead and ask your question?

16 MR. RYALL: Yes, thank you. Perhaps we can go back, I  
17 think it was slide 52, but I may be off by a slide  
18 number. That's the one, thank you.

19 Can you explain a little bit more about the  
20 ability or the requirement to reduce the pressure  
21 after the ILI run in order to respond to integrity  
22 findings?

23 **Proceeding Time 3:10 p.m. T27**

24 MR. DOYLE: Absolutely, thanks for the question, Mr.  
25 Ryall. So once we -- any time that we expose our  
26 pipe, we need to reduce the operating pressure. And

1       that's a safety activity that we undertake, just to  
2       make sure that as people are working around a line,  
3       that is typically covered with dirt and now is being  
4       exposed, and they have equipment around there, it's to  
5       make sure that it keeps our personnel safe.

6               So, historically our typical approach has  
7       been to drop the pressure, if you will, at Huntingdon.  
8       With respect to these crack-like features, they're  
9       treated differently in the code, such that when you  
10      find a crack-like feature, you need to do a different  
11      type of calculation to figure out what the kind of  
12      safe pressure is. And if we find cracking that is  
13      sufficiently bad, if you will, or deep, the immediate  
14      response to make it safe as soon as we find it is to  
15      reduce the pressure to as low as 80 percent of the  
16      current operating pressure. And that has the effect  
17      of giving us a safety factor on top of its proven  
18      strength, until we can get in and expose and repair  
19      the crack.

20   MR. RYALL:        So it's to immediately, if necessary, drop  
21      the pressure in a line in advance of exposing it to do  
22      the repair?

23   MR. DOYLE:        So it wouldn't be used in every situation,  
24      it'll be used in situations where the crack-like data,  
25      -- where the information from the tool indicates that  
26      there is a severe crack. A crack that we are worried

1           about the integrity today, not in a week, or in two  
2           weeks, or in a year, if that makes sense. So our  
3           immediate response at that point would be to reduce  
4           the pressure. To ensure that we have that factor of  
5           safety.

6 MR. RYALL:           Yeah, where I was getting at is how would  
7           -- it sounded like you were going to have to reduce  
8           the pressure while doing the excavation and repair,  
9           and I was wondering how that was different than doing  
10          any repair to your line now that you would find from  
11          an existing ILI? I don't know, corrosion repair.

12 MR. DOYLE:          Okay, I think I understand, I think I  
13          understand your question a little bit better now. The  
14          difference between our traditional corrosion repairs  
15          is that we've run these tools before, we know roughly  
16          what we have, and we know roughly what to expect.  
17          There are sometimes some surprises, but you don't  
18          generally go from no corrosion to an extremely severe  
19          corrosion defect between runs, if that makes sense.

20                        As we go to run these cracking tools, we're  
21          not sure what we're going to find, so we need to be  
22          prepared to find severe cracking, such that -- and  
23          have a response that will make it safe immediately.

24 MR. RYALL:          Okay, thanks.

25 MR. DOYLE:          Absolutely.

26 MR. CHERNIKHOWSKY:       Okay, thank you, Mr. Ryall.

1                   Just before we do go into the open question  
2                   and answer session, I would just like to clarify and  
3                   expand upon a response to a question from Mr. Rhodes  
4                   after Mr. Pataki's presentation.

5                   And at that time, Ms. Rhodes asked whether  
6                   we were effectively locked in with our service  
7                   provider. And to add to the response that Mr. Pataki  
8                   provided, I just want to clarify that we do have some  
9                   flexibility in the providers that we use for inline  
10                  inspection. Currently we use three different vendors  
11                  for all of our inline inspection activities. And FEI  
12                  maintains that ongoing relationship with those  
13                  vendors, and that is to give us consistent results  
14                  that are comparable from run to run. We can switch  
15                  between those service providers if needed.

16                  We can also use potentially other  
17                  providers, but the reality is there is very few to  
18                  choose from, at this point. It is very much a niche  
19                  industry.

20                  And last, in terms of the raw data  
21                  collected from the tool, if that's what Ms. Rhodes was  
22                  referring to, that has to be analyzed by the tool  
23                  vendor as it's proprietary. But once they've analyzed  
24                  the data, then they provide that output to FEI and  
25                  then we're free to analyze it further.

26                  So, I hope that's helpful, and it clarifies



1 constructs the tool, and so they have the intimate  
2 knowledge of how it collects the data itself. And so,  
3 once the tool is run, they download that information,  
4 and then they do process it, because as you say, it is  
5 just raw ones and zeros. And they then filter out  
6 anomalous data, and basically sanitize it, I guess is  
7 probably the best way to put it.

8 They then provide us with that sanitized  
9 version, and then our integrity management group then  
10 further analyzes it and compares it to previous run  
11 data, and makes their determinations of what work  
12 needs to happen.

13 So hopefully that answers the question a  
14 bit better. And if there is further questions, I can  
15 always pass it over Bryan Balmer, he is one of our  
16 specialists in that area, and can always add some  
17 further colour.

18 Did that address your question, Ms. Worth?

19 MS. WORTH: Yes, but it actually sparked another.  
20 Which is, if the provider is sanitizing the data,  
21 isn't there a risk that they will know of certain  
22 deficiencies in their equipment and that the  
23 sanitization will actually mask that, so that the  
24 information that Fortis is receiving is somehow  
25 defective or not the best possible data that could be  
26 provided with I guess equipment that is operating at

1 an optimal level?

2 MR. CHERNIKHOWSKY: So, I'll take a first level  
3 response at that, and then perhaps I may pass it over  
4 to Mr. Balmer again. But what I can say is that the  
5 vendors that we use are industry recognized as  
6 experts. They have well accepted industry track  
7 record of producing very good data. Frankly, we  
8 wouldn't use them if they weren't. And so we don't  
9 really have any concerns about the quality of the data  
10 that they pass on to us.

11 Now, that said, I will say that obviously  
12 no tool is perfect, right? It would never guarantee  
13 us 100 percent certainty; no engineer can ever do  
14 that. But certainly the data that we do receive from  
15 our vendors, we have very high confidence in.

16 MS. WORTH: Thank you.

17 MS. BEVACQUA: Okay, we're over to Mr. Mason?

18 MR. MASON: Yeah, thank you, I have a question about  
19 slide 54, which is about the pilot project. There is  
20 mention here that unidentified cracks were found in  
21 the pilot project segments, and I'm wondering if FEI  
22 undertook any type of exercise to extrapolate the  
23 findings with, you know, some type of statistical  
24 analysis from that pilot project to the entire TTS,  
25 and if the findings of the pilot project are in line  
26 with the expected number of cracks that your risk

1 analysis would have projected for the entire system?  
2 MR. CHERNIKHOWSKY: Okay, thank you, Mr. Mason. That  
3 is definitely an interesting question, and it touches  
4 on a number of different individuals. Perhaps I may  
5 start with Mr. Doyle in terms of could you address in  
6 terms of what we were expecting to find? And then Mr.  
7 Oliphant you may have some comments to add there in  
8 terms of how it compared to what we found in industry  
9 practice?

10 **Proceeding Time 3:20 p.m. T29**

11 MR. DOYLE: Absolutely. Thank you for the question, Mr.  
12 Mason.

13 So as far as what we expected to find in  
14 the pilot project we didn't have any prediction on the  
15 number of cracks we would find, because as we covered  
16 earlier in the presentation the occurrence of these  
17 cracks, and stress corrosion cracking in particular,  
18 they're highly localized. Because of that prediction  
19 is nearly impossible.

20 What we did know and what was confirmed is  
21 that there were cracks on those pipelines that we were  
22 unaware of until we ran the tool. So the tool was  
23 able to find cracks on the pipelines that were it not  
24 for running the tool and doing the pilot project we  
25 would have no indication of where they were or the  
26 severity of those cracks.

1 Does that answer your question?

2 MR. MASON: Yeah, I think in part. I guess mostly what  
3 I'm driving at is, you know, with the pilot project,  
4 you know, did the pilot project's finding kind of  
5 align with the level of risk that you were projecting  
6 with your various risk analyses. But that does help,  
7 thank you Mr. Doyle.

8 MR. DOYLE: Absolutely.

9 MR. CHERNIKHOWSKY: Yeah, I think I would just add there  
10 that, you know, in terms of how it compare -- how our  
11 finding compare to the actual risk analysis, I think  
12 that's probably a question that's better left for an  
13 information request so that we can more fully expand  
14 upon on that in detail.

15 MR. MASON: Sure, understood.

16 MR. DOYLE: And one other thing I might add is just that  
17 we really can't extrapolate from one pipeline to  
18 another because of the highly localized nature of  
19 these stress corrosion cracks. So saying we found X  
20 on this pipeline and therefore we'll find -- it -- if  
21 we go back to what we're required to do about threats  
22 in terms of managing and mitigating and addressing  
23 them, that approach wouldn't allow us to say that they  
24 were managed, mitigated or addressed.

25 MR. MASON: Okay, thank you very much.

26 MR. DOYLE: Absolutely.

1 MS. BEVACQUA: Thank you. This point I don't see any  
2 hands up or any questions in the chat. Maybe what we  
3 can do is just go through interveners in order just to  
4 double check there isn't any questions.

5 So we'll start with the RCIA.

6 MR. MASON: Well I just got one of mine out there. I  
7 think Mr. Ryall and I have been asking questions as  
8 they've come along. But, you know, Brady, please let  
9 me know if I'm speaking out of turn on your behalf  
10 there.

11 MR. RYALL: I can probably -- I'm jotting a few things  
12 down, so. You're not planning on running the EMAT  
13 tool in the -- what is it? The Noons Creek to  
14 Burrard, segment, correct?

15 MR. DOYLE: That's correct.

16 MR. RYALL: And that's because you don't have sufficient  
17 gas flow to propel the tool at the right velocity,  
18 correct?

19 MR. DOYLE: That's correct.

20 MR. RYALL: Have you considered -- is it possible to take  
21 the line out of service and use air and nitrogen to  
22 propel the tool?

23 MR. DOYLE: So there are three communities that are  
24 served through that pipeline. There are three gate  
25 stations, they're relatively small loads but they do  
26 need to be served.



1           hundred thousand dollars pays itself off after that  
2           first run.

3 MR. RYALL:        Okay, thank you.

4 MS. BEVACQUA:    Okay, so we'll --

5 MR. CHERNIKHOWSKY:    And --

6 MS. BEVACQUA:    Go ahead.

7 MR. RYALL:        Do you want me to keep -- I've got a couple  
8           more. Do you want me to keep going and get mine out  
9           of the way or --

10 MS. BEVACQUA:     Sure, because then we'll give everyone  
11           around to have a chance.

12 MR. RYALL:        Okay. You're going to be replacing some  
13           heavy wall segments of the line. I assume then you  
14           will not have heavy wall piping. Are you going to be  
15           going with stronger, higher strength segment -- or  
16           head joints to replace that? Is that the intention?

17 MR. DOYLE:        That is the intention. There is a minimal  
18           change in wall thickness that the tools can get  
19           through, I think it's one or two millimetres  
20           difference. And so we'll look at a combination of  
21           that and a higher grade material in order to get the  
22           consistent speeds we need.

23 MR. RYALL:        Okay.

24 MR. DOYLE:        Sorry, it was closer to one millimetre  
25           difference in wall thickness, not one or two. So just  
26           put that on record there.

1 MR. RYALL: Okay. And looking at it, it sounds like  
2 there's only about 13 of these locations where you  
3 need to replace a heavy wall segment with a more -- I  
4 don't want to say thin wall segment, but just -- one  
5 with a consistent internal diameter, but you also I  
6 thought I heard you say that the tool recovers its  
7 speed very quickly. So could you not forgo replacing  
8 those segments and then just forgo quality data in a  
9 very limited portion of the -- of these lines?

10 MR. DOYLE: That's a great question. We did in fact  
11 look at that. So there are more than 13 locations in  
12 the costal transmission system that have heavy wall or  
13 changes in wall thickness that do cause some sort of  
14 speed excursion. The 13 that we've located here are  
15 the ones that are expected to cause the worst speed  
16 excursions once we've controlled for our understanding  
17 of how the EMAT tool operates and whatnot.

18 Using our modeling based off of the CFL --  
19 or the CMFL, sorry, tool information, these are the  
20 ones that really need to be addressed. If we have  
21 speed excursions on the downstream side of some of the  
22 other heavy wall pipe that we're leaving in there,  
23 after we've run the tool we'll be in a better position  
24 to understand what we're missing or what the issue  
25 with the data is. It may only be, you know, a metre  
26 or two or ten, in which case it can be pretty quick to

1 dig it up and inspect it as opposed to trying to guess  
2 how long the speed excursion is going to be based off  
3 of the MFLC data.

4 MR. RYALL: All right. Do all the EMAT tool vendors  
5 have this same sensitivity to tool velocity or is it  
6 just one selected as a specific requirement?

7 MR. DOYLE: So I don't think we've locked ourselves into  
8 one vendor for all of the pipelines at this point.  
9 There are a few options. And they have different  
10 requirements, but they are quite similar. This is  
11 probably something we could respond to in more detail  
12 in the IR process, but they all operate on the same  
13 principle in the sense of it's the EMAT sensor and  
14 therefore they all have similar restrictions.

15 MR. RYALL: Okay.

16 MR. DOYLE: And we have scoped this out to make sure we  
17 can use multiple vendors for the lines where there are  
18 multiple vendors with tools, if that make sense.  
19 We're not locking ourselves into one.

20 MR. RYALL: Okay, I think I'll pause there. I got a  
21 few questions in, so I'll let somebody else have a  
22 turn. Thanks.

23 MR. CHERNIKHOWSKY: Thank you.

24 MS. BEVACQUA: Thank you. So we'll move now to CEC.

25 MR. C. WEAFFER: Thank you. We chatted in the break and  
26 I just want to express appreciation to Fortis for the

1 very good helpful overview presentation today. And  
2 we'll reserve our questions for the IR process at this  
3 time. So thank you for your time today.

4 MR. DOYLE: Thanks.

5 MS. BEVACQUA: Thank you, Mr. Weafer.

6 BCOAPO. Oh? I'm hearing an echo.

7 MS. WORTH: Is that from me? My apologies.

8 MS. BEVACQUA: That's okay. Go ahead.

9 MS. WORTH: So I just had a couple of -- sorry, it is  
10 from me. I apologies, I don't know what's happening  
11 here.

12 I just had a couple of quick questions, and  
13 it may be that I just haven't delved deeply enough  
14 into the risk analysis piece to have the information.

15 **Proceeding Time 3:30 p.m. T31**

16 There was reference in the risk assessment to earth  
17 movement and I was wondering if that covers both, sort  
18 of, landslides where, you know, there'd be increased  
19 risk of either the, you know, the integrity being  
20 compromised due to moving or, you know, increased  
21 pressure from earth being dumped onto it, as well as  
22 the risk of, sort of, the big one. You know, the  
23 earthquake that we're apparently now overdue for. So  
24 I was just wondering if that was sort of built into  
25 the earth movement? Because that was where I saw  
26 probably the most likely consideration of those two

1 particular things.

2 MR. CHERNIKHOWSKY: Yes. So, thank you, Ms. Worth.  
3 Perhaps, Dr. Oliphant, if you could discuss the  
4 assumptions that you used for earth movement in the  
5 QRA were used?

6 MR. OLIPHANT: Yes, thank you for the question. In  
7 terms of the natural hazards in earth movements, it  
8 did consider all those threats to the Fortis system,  
9 and used the information that Fortis has developed in  
10 conjunction with consultants that they used to assess  
11 their geohazards threats within their system. So we  
12 took all the information from those assessments and  
13 incorporated that into the overall quantitative risk  
14 assessment.

15 MS. WORTH: Okay, thank you. Those were my questions.  
16 I'm not sure my co-counsel or Mr. Bell have any  
17 questions of their own. I'll defer to them.

18 MS. MIS: Good afternoon, it's Irina Mis. I don't have  
19 any additional questions. Thank you.

20 MR. BELL: Hi, it's Russ Bell. I don't have any more,  
21 I will ask them in IRs.

22 MR. CHERNIKHOWSKY: Okay. How about any questions from  
23 BCUC staff?

24 MS. SIMON: This is Nicola Simon. We don't have any  
25 questions at this time. Our questions are better  
26 suited to IRs. Thank you.

1 MR. CHERNIKHOWSKY: Thank you, Ms. Simon.

2 MS. BEVACQUA: So now it's over to the panel.

3 THE CHAIRPERSON: So, I'm going to invite my fellow  
4 panel members to pose any questions that they may have  
5 and then I do have one question after that. So,  
6 Commission Morton?

7 COMMISSIONER MORTON: I would just echo what Mr. Weafer  
8 just said. Thank you for an informative presentation,  
9 much appreciated. I have no further questions, at  
10 least that would be appropriate at this time. So, on  
11 that note, I'll say thank you very much.

12 THE CHAIRPERSON: Thank you. And Commissioner Brewer?

13 COMMISSIONER BREWER: I actually do not have any  
14 questions. I appreciate the presentation, it was very  
15 good, and I'll look forward to asking some -- or  
16 having input into some IRs probably at a later date.

17 THE CHAIRPERSON: Thank you very much, Commissioner  
18 Brewer.

19 Now, I just have question and I don't know  
20 who best to pose it to, maybe it's Ms. Roy or perhaps  
21 Mr. Doyle. And it relates to a comment that was made  
22 by Mr. Oliphant with respect to the relative risks  
23 between the Coastal transmission system and the  
24 Interior transmission system. And I think you  
25 indicated that of the 12 pipelines that were looked at  
26 or analyzed amongst the 35 in the Interior system,



1           expect it to be a similar order of magnitude as the  
2           CTS TIMC application.

3   THE CHAIRPERSON:   And is there a reason why we decided to  
4           do this in two tranches?  In other words focusing on  
5           the Coastal System first with the 13 and then  
6           presumably the 9 to follow next year in the Interior?

7   MR. DOYLE:   Absolutely.  Mainly it was due to -- the CTS  
8           had that higher level of risk and it was shown that  
9           the risks to the CTS system were more focused on those  
10           cracking threats.  I think they were the first and the  
11           third highest ranked, if I recall correctly from Dr.  
12           Oliphant's presentation.

13                   The ITS, it was less risk than the Coastal  
14           Transmission System, so we decided to focus on the  
15           Coastal first while working on the ITS.  Yeah.

16   MR. CHERNIKHOWSKY:  Yeah, I think I would just clarify a  
17           little bit there.  It wasn't so much that we --  
18           decided implies that it was discretionary.

19   MR. DOYLE:   Sorry.

20   MR. CHERNIKHOWSKY:  What we were saying is that the  
21           consequences are higher for the CTS pipelines.  I  
22           think we all recognize that in the Coastal  
23           Transmission System area populations are higher,  
24           there's more development around the pipelines and so  
25           given that risk equals probability times consequences,  
26           since the consequences are higher in the Lower

1 Mainland, that's what drove the need to pursue the CTS  
2 work prior to the ITS work.

3 THE CHAIRPERSON: Okay, thank you very much. That is my  
4 last question.

5 Okay, if I hear no other or see no other  
6 hands up, I can safely adjourn this workshop. But  
7 before I do that I just want to thank Ms. Roy as well  
8 as the other presenters from FEI for spending your  
9 afternoon, what is a beautiful afternoon, with us and  
10 educating us about this very interesting CPCN  
11 application. I've learned lots, so I really  
12 appreciate your patience and your willingness to share  
13 your knowledge with all of us and your willingness to  
14 answer our many questions actually, throughout.

15 I want to thank Mr. Chernikhowsky for  
16 fielding the question session at the end. Ilva for  
17 facilitating the entire workshop and Ms. Joly for your  
18 efforts and persistence with the two videos. You  
19 deserve a lot of praise and you're obviously a very  
20 patient person, more so than I am.

21 MS. JOLY: Thank you.

22 THE CHAIRPERSON: Just want to thank all of you, the rest  
23 of us who attended this workshop and for your  
24 indulgence and I just want to thank you for taking  
25 time out to share in this workshop and I want to wish  
26 you a great afternoon and just want to say thank you

1 to FEI. You're way ahead of schedule. It's only  
2 3:38. So you get to have a back a couple of hours of  
3 your day to go out and enjoy the sunshine.

4 So take care everyone and thank you to  
5 Allwest Reporting for sticking with us to the end and  
6 I'm sure we'll be seeing each other, hopefully, in  
7 person soon. So take care. Have a wonderful  
8 afternoon.

9 **(PROCEEDINGS ADJOURNED AT 3:39 P.M.)**

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

I HEREBY CERTIFY THAT THE FORGOING  
is a true and accurate transcript  
of the proceedings herein, to the  
best of my skill and ability.



A.B. Lanigan, Court Reporter

May 13<sup>th</sup>, 2021